

IN THE MATTER OF AN ARBITRATION BEFORE A TRIBUNAL
 CONSTITUTED
 IN ACCORDANCE WITH THE TREATY BETWEEN THE U.S.A. AND THE
 REPUBLIC OF ECUADOR CONCERNING THE ENCOURAGEMENT AND
 RECIPROCAL PROTECTION OF INVESTMENT, SIGNED AUGUST 27, 1993
 (THE "TREATY")

and

THE UNCITRAL ARBITRATION RULES 1976

- - - - -X
 In the Matter of Arbitration :
 Between: :
 :
 CHEVRON CORPORATION (U.S.A.), :
 TEXACO PETROLEUM COMPANY (U.S.A.), :
 :
 Claimants, : PCA Case No.
 : 2009-23
 and :
 :
 THE REPUBLIC OF ECUADOR, :
 :
 Respondent. :
 - - - - -X

TRACK 2 HEARING AGUARICO-06 SITE VISIT

Monday, June 8, 2015

Coca (Francisco de Orellana)
 Republic of Ecuador

The Aguarico-06 Site Visit in the above-entitled
 matter convened at 9:32 a.m. before:

MR. V.V. VEEDER, Q.C., President

DR. HORACIO GRIGERA NAÓN, Arbitrator

PROFESSOR VAUGHAN LOWE, Q.C., Arbitrator

Additional Secretary:

MS. JESSICA WELLS

Registry, Permanent Court of Arbitration:

MR. MARTIN DOE, Registrar
Secretary of the Tribunal

Court Reporter:

MR. DAVID A. KASDAN
Registered Diplomate Reporter (RDR)
Certified Realtime Reporter (CRR)
Worldwide Reporting, LLP
529 14th Street, S.E.
Washington, D.C. 20003
United States of America
(202) 544-1903
info@wwreporting.com

APPEARANCES: (Continued)

On behalf of the Respondent:

DR. DIEGO GARCÍA CARRIÓN,
Attorney General
DRA. BLANCA GÓMEZ de la TORRE
Counsel, Attorney General's Office
DR. LUIS FELIPE AGUILAR
DRA. DANIELA PALACIOS
Procuraduría General del Estado
Robles 731 y Av. Amazonas
Quito, Ecuador

MR. ERIC W. BLOOM
MR. GREGORY L. EWING
MS. CHRISTINE M. WARING
MS. NICOLE Y. SILVER
Winston & Strawn, LLP
1700 K Street, N.W.
Washington, D.C. 20006
United States of America

MR. JOSÉ MANUEL GARCÍA REPRESA
Dechert LLP
32 rue Monceau
75008 Paris, France

Respondent's Site Visit Participants potentially providing testimony:

DR. EDWARD A. GARVEY (LBG)

Respondent's Site Visit Participants not providing testimony:

MR. SHANE McDONALD (LBG)

DR. HARLEE STRAUSS

APPEARANCES:

On behalf of the Claimants:

MR. R. DOAK BISHOP
MS. TRACIE RENFROE
MS. CAROL WOOD
MS. JAMIE M. MILLER
King & Spalding, LLP
1100 Louisiana Street, Suite 4000
Houston, Texas 77002
United States of America

Claimants' Site Visit Participants potentially providing testimony:

MR. JOHN CONNOR (GSI)
DR. THOMAS E. McHUGH (GSI)

Claimants' Site Visit Participants not providing testimony:

DR. GINO BIANCHI
MR. ERNIE BACA (GSI)
MS. DANIELLE KINGHAM (GSI)
MR. WILLIAN CHAVEZ (GSI)

C O N T E N T S

PAGE

FIRST ROUND OF ORAL PRESENTATIONS

ON BEHALF OF THE RESPONDENT:

By Mr. Ewing 107
By Dr. Garvey 120
By Mr. Ewing 133

ON BEHALF OF THE CLAIMANTS:

By Ms. Wood 151
By Dr. McHugh 157
By Ms. Wood 159
By Mr. Connor 165
By Dr. McHugh 184
By Ms. Wood 187

SECOND ROUND OF ORAL PRESENTATIONS:

ON BEHALF OF THE RESPONDENT:

By Mr. Ewing 191
By Dr. Garvey 195
By Mr. Ewing 202
By Dr. Garvey 203

PROCEEDINGS

PRESIDENT VEEDER: Well, today is the 8th of June. We're at AG-06. It's the second day of the actual Site Visit. In accordance with the arrangements agreed, the Respondents have the floor.

OPENING STATEMENT BY COUNSEL FOR RESPONDENT

MR. EWING: Good morning, Members of the Tribunal. Welcome to Aguarico-06. As I have mentioned before, I want to give you a quick overview of where we are and then we'll dive into some of the details.

We again started off this morning in Coca, and we came up through Sacha, crossed through Shushufindi, and we are now at Aguarico-06, so the northern end of the Concession. And we are north of where we were yesterday at Shushufindi-34, and after we're here, we'll head south, a quick trip to Shushufindi-55.

Originally, this site was supposed to be after Shushufindi-55, but just for logistics we've moved around, and you'll see some of the reasons why that's the case. There are really four primary reasons that we've brought you here today and brought you from your comfortable homes to be looking at this.

The first is, it is easy to understand, just like at Shushufindi-34, whose oil--who put the oil in the ground that is now the problem. And just to give you some

09:35 1 sites we are looking at. It is true that the Lago Agrio Court only visited a certain number of sites. They only went to, I think, 45, the Court itself under 45 sites, but there is information about all of the sites that we're taking you to in the Lago Agrio Record. For instance, in the HBT Agra Report, which is Exhibit C-13, was in the Lago Agrio Record, and it addressed these sites, and we'll talk about some of the things that that report said.

The Fugro-McClelland Report addressed these sites, and it was in the record. The same with the Woodward-Clyde Report. So, those are three examples of reports that addressed the sites that we're visiting. So, while they are not all Judicial Inspection sites, they are all sites--that there is information about them in the record, similar to how LBG has investigated, with a little bit more detail, 13 sites, but we are only visiting four. It's equivalent, kind of, but you have data about all of them.

ARBITRATOR GRIGERA NAÓN: May I ask a question.

MR. EWING: Please.

ARBITRATOR GRIGERA NAÓN: Did Mr. Cabrera visit any of the sites we are visiting now?

MR. EWING: Mr. Cabrera visited Shushufindi-55, which is where we will be going this afternoon.

ARBITRATOR GRIGERA NAÓN: The only one.

MR. EWING: As far as I know, yes.

09:34 1 context, we are looking out over a swampy area. It's called a plantation by some of the original auditors, and this is where LBG has done the vast amount of their sampling.

At the top of the hill we were at the platform, and I'd encourage you to work around there later if you'd like to. We decided to move down here just to simplify all of our lives a little bit and just start here. But when you're up there, you will see the wellhead. It's similar to what we had at Shushufindi-34. It's a round, steel disk that you can see in the ground. You'll also see some more pits up there that are demarcated--or one more pit you'll see from the Chevron demarcated.

We walked across one of the pits that we know is filled with TexPet oil on our way down here, so it's directly above us on this hill. Because of that, we can tell--or we know that the contamination that's down here is coming from up there. This site was only operative--the only party who ever extracted oil from here was TexPet. So, again, we know that the contamination that we are looking at is a result of TexPet's operations.

The second reason that we're here is that there is quite a bit of information about this area in the Lago Agrio Record. I think there was a slight misstatement yesterday in what is contained in the record about the

09:37 1 The third reason that we're here is because it's easy to see the contamination. We have gone to many sites--I think the last count was 50 or 60--sort of to survey and understand what various sites looked like. This is a site where it is easy to see what the contamination looks like, how it shows in the environment. So, we brought you here to show you that.

The pits that are above us--actually--and the fourth reason--and we will talk about the pits--it's easy to see the threat to human health at this location. You can see out in front of us the farmer has cut down the trees. Dr. Garvey will talk about how different this site is from when we were here, and these are the trees I mentioned to you were cut down at the end of the Hearing. We learned about them and told you, but the farmer has then come in and planted corn.

He lives across the stream and walks back in here on an almost daily basis, it sounds like. And his cows--there is actually a path over here that he uses, and when we head down, I would encourage you to look up it. We originally wanted to bring you down it. We couldn't put steps on it because it would make it inaccessible for the cows, so we came this way instead. So, this is a commonly used pathway.

So, those are the four reasons that we're here.

09:38 1 So, I'd like to step into some of the history briefly of
2 this site, which, I think, will help explain what we're
3 seeing.
4 At this site--this is a map showing the
5 Aguarico-06 platform at the top, where we parked our cars.
6 So we drove in the road from that way and have all parked
7 up here. The wellhead is here, and now we have walked down
8 here, and I meant to mark it, but our platform is
9 approximately here on the hillside, and we are looking at
10 all the flags below us, are all these different marks. And
11 the flags across the way in the stream that Chevron has
12 placed there are the stream.
13 So, we are sitting here.
14 There is some disagreement. We count that there
15 are seven pits at this site: One, two, three, four, five,
16 six, seven. There's some disagreement between the Parties
17 about what we have here, so let me just explain.
18 There are two pits that were documented and
19 included in the RAP--there are three pits. The first is
20 this one here. We drove past it on the way in. You may
21 have noticed, again, Chevron has put their yellow flags
22 around the triangle, and you'll see it when we go out. Now
23 that I've mentioned it, you'll see it's back towards the
24 road we're coming in.
25 These two pits here, the one of which we walked

09:39 1 over, we consider them two, based on the analysis of
2 Chevron's internal documents and our own analysis of aerial
3 imagery. Chevron considers these one pit. Whether it's
4 one rather large pit or two medium-to-large pits, to me it
5 seems relatively unimportant. It's a larger area of
6 contaminated soil.
7 There are also then one, two, three, four
8 undocumented pits. These pits were never documented in the
9 RAP or otherwise disclosed that they had been dug by
10 TexPet. In aerial imagery from '75, this area, this area,
11 and this area are all cleared, and what we have found is
12 that this area appears to have been an oil pit or the
13 reserve pit. So, when the well was dug here--this is the
14 top of a hill, as you know, since we just walked down, and
15 this is also a steep slope down to this area. And, from
16 what we can tell, what TexPet did is they took advantage of
17 gravity, and they just used the hillside to let the waste
18 fall down into this area.
19 We walked around down there last week, and I saw
20 oil contamination just underneath the surface.
21 MS. WOOD: Objection.
22 PRESIDENT VEEDER: I think after yesterday, you
23 shouldn't be saying anything about that.
24 MR. EWING: Okay. I won't say anything.
25 So, this area here--and we can show you this area

09:41 1 here--this area here is a little harder to get to, so we
2 won't take you over there. This area here, this L-shaped
3 pit, Shane is over here with the blue-and-white flag. He
4 is standing approximately at this corner of this pit here.
5 Can I describe what it looks like to stand inside
6 that pit?
7 MS. WOOD: I will make an objection. Let me turn
8 my microphone on first.
9 Mr. President, I have let Mr. Ewing give this what
10 he calls "background" to you. We obviously disagree, and
11 we'll make the presentation to you. My concern is where he
12 is going now is he's introducing evidence that is not in
13 the record. Other than having shown that picture in the
14 packet and discussing aerial photographs, they have done
15 nothing prior to what we're hearing right now to document
16 any of these other pits that they claim are out there. I
17 have reason to believe that they want to use, and they have
18 obtained, samples that they won't show you. We have not
19 had any chance to verify any of that, to view any of those
20 locations because we were going on what was in the record,
21 and the only thing that's in the record in the Site Packets
22 is this document here.
23 So, I object to them talking about anything with
24 respect to what pits look like, based on what they have
25 seen or their observations that are outside the record and

09:43 1 outside their Site Packet.
2 MR. EWING: Mr. President, this has been in
3 dispute about this site about whether or not this is a pit,
4 so I think there is clear evidence. We say it's a pit,
5 they say it's not. I'd like to show you, and this is why
6 we brought you out to the Oriente, to show you why we think
7 this is a pit. I would be thrilled for you to walk over
8 there where Shane just was and see for yourselves. Instead
9 sort of like Chevron did yesterday with their sample, we
10 wanted to show you what is in the floor of that pit, and to
11 show you, and you can make your own decision.
12 PRESIDENT VEEDER: I think the difficulty is you
13 can show us. Whether it is a pit or not, that is an issue
14 between the Parties. But you're not a witness or an expert
15 witness, so I think the only explanation, I think, given
16 the difficulties--
17 MR. EWING: Yeah.
18 PRESIDENT VEEDER: --if you start describing what
19 you saw.
20 MR. EWING: I can let Dr. Garvey do it and not me.
21 PRESIDENT VEEDER: As far as you're concerned,
22 finish your explanation.
23 MR. EWING: Okay. Can I show you what we found or
24 should I ask Dr. Garvey to do that?
25 MS. WOOD: I object--excuse me, I spoke over you.

09:44 1 I object to Mr. Ewing or to Dr. Garvey speaking
 2 about anything they saw or found or samples they collected.
 3 They've had unfettered access to these sites for three
 4 years. I made a special trip two weeks ago to come to this
 5 site to find out what they had taken samples of and had put
 6 in their Site Packets and put in the record. We came, we
 7 looked at the locations where they had taken samples. We
 8 knew nothing about other new areas that they now want to
 9 describe to you and to show evidence from those pits that
 10 they claim are pits. We have not had any opportunity to
 11 verify that. It's not in the record whatsoever, and we
 12 have been very consistent in sticking with the Protocol,
 13 and so I object to any of that coming into the record.
 14 PRESIDENT VEEDER: When was this sample taken?
 15 MR. EWING: This morning. Shane just walked back
 16 with it right as we were coming over.
 17 MS. WOOD: And, if I might, Mr. President, let me
 18 just also explain--or clarify something Mr. Ewing said.
 19 The difference between yesterday and today is that everyone
 20 had the opportunity to go look at that pit that was to the
 21 north of the property. We had the opportunity to go
 22 investigate it. Samples had been collected from there.
 23 They could verify those samples. The difference here is we
 24 have never been to these locations that he is now trying to
 25 show you. We have had no opportunity to verify that, and

09:45 1 it's completely outside the record.
 2 MR. EWING: I beg to differ. These pits have been
 3 outlined and have been described in our filings--
 4 PRESIDENT VEEDER: Well, the pits have, but the
 5 samples haven't. That's the problem. You're catching the
 6 Claimants a little bit by surprise, and the Expert
 7 Witnesses for the Claimants also. Isn't this different
 8 from yesterday? I thought it might be the same, but it
 9 sounds like it's going to be more difficult to resolve.
 10 MR. EWING: I don't think this is different from
 11 yesterday, in that, one, if you would like, it's more
 12 difficult to get to than yesterday, but it is not by any
 13 stretch, you know, impossible. Shane just walked.
 14 MS. WOOD: Mr. President, if I may, it is
 15 completely different from yesterday. Yesterday, not only
 16 had they documented a pit, they had taken samples in that
 17 pit. We went to the same location and showed you material
 18 from where they had collected samples. We have never been
 19 to that location over there. We have never taken any
 20 samples. We have never been able to verify any of their
 21 samples. We are caught completely blindsided.
 22 And, if you also recall, this was the site that we
 23 had asked to bring our experts over to because of the
 24 extensive modifications. Ecuador objected to that, so our
 25 experts have not even been to this site and have no

09:46 1 understanding as to what are these locations that they want
 2 to show.
 3 We do not object to them talking about where they
 4 have sampled that is in the record and where they had
 5 collected samples and where we have also inspected. We
 6 object to them going to areas that now, many years after
 7 the fact, all they've given us were aerial photos and said:
 8 We believe there are pits there. Now they come out here a
 9 few days before the Site Visit and auger down and want to
 10 show you things that we have had no opportunity to check
 11 out.
 12 Basically, what is happening is they're presenting
 13 witnesses, and they never had a witness statement.
 14 That's--
 15 PRESIDENT VEEDER: I think what we would like you
 16 to do is to go on with the rest of your presentation.
 17 We're going to talk about this, and we will find an
 18 alternative solution, but can you move on or not?
 19 MR. EWING: I can absolutely move on.
 20 PRESIDENT VEEDER: Okay.
 21 MR. EWING: Can I just clarify one point? They
 22 have had complete and unfettered access per the Protocol to
 23 come to these sites. We only objected once to say this had
 24 started. Before that, we were completely amenable to them
 25 being here as often as they wanted to be, and they have

09:48 1 been here almost every day.
 2 MS. RENFROE: Except the immunity provision was
 3 not signed until we were--
 4 PRESIDENT VEEDER: Let's leave it there--
 5 MS. RENFROE: Yeah.
 6 PRESIDENT VEEDER: --because we're losing time.
 7 We'll come back to this, but if you can move on.
 8 MS. WOOD: And, if I might, just for the record to
 9 say I have a standing objection to any evidence he tries to
 10 put in about new evidence.
 11 PRESIDENT VEEDER: Be assured, he is not a witness
 12 in any event.
 13 MS. WOOD: Thank you.
 14 PRESIDENT VEEDER: And he says it's not evidence.
 15 MR. EWING: So, this--let me step into that issue.
 16 This well was drilled in 1974, to give you the context.
 17 The wastes were disposed of somewhere. We know that they
 18 were disposed of, and that there was oil that was left.
 19 The HBT Agra Report tells us that this area here, we'll
 20 talk more about, was an oily, recently closed pit. HBT
 21 Agra, Fugro-McClelland, and then Woodward-Clyde all tell us
 22 that.
 23 This well was shut in in 1986 by TexPet, and, as I
 24 explained yesterday, that's a temporary closure of the
 25 well. So, it's plugged so it could be reused again. And,

09:49 1 in fact, we'll explain more at our next location that this
 2 well was used later as a reinjection well, but it was never
 3 used to produce oil after 1986.
 4 Let's see. We'll jump ahead here. We'll just
 5 jump right into the injection aspect of this.
 6 So, this well, like I said, was converted to be
 7 used as a reinjection well. When oil comes out of the
 8 ground, it comes out with a mixture of oil, water, and gas;
 9 and that oil, water, and gas is sent to a Production
 10 Station where it's separated out. The oil is sent for
 11 sale, the gas is either used or flared, and the water is
 12 disposed of.
 13 During TexPet's era, HBT, Fugro-McClelland, and
 14 internal Chevron documents tell us that produced water was
 15 typically disposed either directly into the environment
 16 through unlined earthen pits or directly into drainages and
 17 into the streams. And LBG has done some calculations on
 18 the produced water and the damage that that has caused in
 19 and of itself.
 20 But what's important for Aguarico-06 is that when
 21 this well--they converted it into a reinjection well, so
 22 think about it like this. The oil comes up when it's a
 23 production well. When it's a reinjection well, you're
 24 taking the produced water, the toxic produced water, and
 25 you're reinjecting it back down into the formation, so

09:50 1 approximately 3,000 meters below. It's considered the
 2 safest way to store it.
 3 In TexPet-patented technology to do a reinjection,
 4 to improve on the reinjection process in 1962--or '72, and
 5 the American Petroleum Institute had even recommended
 6 reinjection in the United States since as early as 1962.
 7 So, before Chevron--or Texaco was producing oil here.
 8 According to an internal Texaco memo, which we
 9 call the Henderson memo--this is R-489--they recognized
 10 that using unlined earthen pits for disposal of produced
 11 water was "not best practices" for the obvious reason that
 12 produced water will migrate beyond the pit otherwise.
 13 So, at the end of the day, the point here with the
 14 reinjection well is that it is being used to reinsert the
 15 produced water back into the ground. It is not pulling
 16 more oil out, so it's been put into reverse.
 17 So, from there, I would like Dr. Garvey to give
 18 you the floor to explain what LBG has done here.
 19 DR. GARVEY: Good morning.
 20 So, today I'm going to talk about several
 21 important features on this site, and I'm going to try to
 22 stand out of the way so you can see what I'm discussing.
 23 But basically some of the same things that we picked up
 24 yesterday at Shushufindi-55 we also can bring out here.
 25 That is, the presence of TexPet liquid oil, oil

09:52 1 contamination outside of the pits now as opposed to
 2 yesterday when we looked at Shushufindi-55--34, excuse me,
 3 Shushufindi-34, we had oil inside the pit. Here, we're
 4 going to show you some examples; we actually have oil
 5 outside the pit, okay, not oil--not contaminated soils, but
 6 oil. We're going to show that this oil had to have gotten
 7 here by a couple of different processes. We'll talk about
 8 which ones there might have been. We think likely it's by
 9 groundwater pathway that they reached this point, basically
 10 traveling through the soil and perhaps above the water
 11 table.
 12 We'll talk about the clayey soils in this area and
 13 their failure to contain the contamination, the presence
 14 for the existence of present and future human health risks
 15 associated with this contamination, and then the site as an
 16 example of our inventory calculations, in support of our
 17 own inventory calculations.
 18 So, to begin, then, this site has a history of oil
 19 seeping into the wetland. It's been documented by three
 20 different consultants, basically saying either there's oil
 21 seeping out of the pits or actually oil being seen seeping
 22 out of the ground. Okay. I believe it was the
 23 Woodward-Clyde Report that reported oil seeping out of this
 24 spring area here, and I'll point to it in a minute, back in
 25 the early Nineties. So, as early as the early Nineties as

09:53 1 part of the RAP, this area was reported to have oil seeping
 2 from the ground, as you see it here.
 3 I'm going to point out--the spring here is
 4 basically directly behind this large tree. There is a
 5 small depression in the ground, behind this tree there,
 6 basically between--essentially a straight line from where
 7 I'm standing between the tree and the blue sign behind it,
 8 there's a depression there. That's a spring; it's a water
 9 spring. Associated with this spring and these points that
 10 you see down here is oil seeps coming out of the ground,
 11 oil coming out of the ground.
 12 So, during LBG's investigation--well, excuse me,
 13 before we go on there, there are four or five pits
 14 associated with this site, perhaps more. We have had
 15 discussion about that, but your question may be why are we
 16 exploring the other pits. We have already shown you a pit
 17 with TexPet oil present in it at the current time. Again,
 18 our study was not to do a Remedial Investigation where we'd
 19 outline every pit and every site that we visited. Rather,
 20 here we're trying to show you a different feature. This is
 21 an example of oil outside the pits. That's why we focused
 22 here and not on the pits up the field.
 23 Again, during our investigation, we examined the
 24 possibility of migration out of the pits and into the
 25 hillside here based on the historical records. It seemed

09:54 1 like a good candidate to investigate whether or not that
 2 process was still ongoing. It had been reported in the
 3 1990s, and we came to visit it here. So, we tested these
 4 four Claimants' hypothesis:
 5 Claimants' hypothesis that contamination is
 6 limited to the vicinity of the facility; that would mean
 7 basically up the hill.
 8 Claimants' hypothesis that the oil in Oriente is
 9 weathered to a point that makes it immobile, that it's no
 10 longer fluid enough to move. Okay. So we can test the
 11 Claimants' hypothesis that any liquid oil found in the
 12 Concession area cannot be TexPet's because only recent oil
 13 is liquid. Older oil is something, et cetera, from
 14 TexPet's operations would no longer be liquid.
 15 And finally, we can test that Claimants'
 16 hypothesis that the soils in the Oriente are so clay rich
 17 that they form an impermeable barrier that largely limits
 18 the migration of contamination away from the points at
 19 where they were disposed.
 20 Based on our observations and data collected, we
 21 basically say that each of these claims is untrue.
 22 Before I go further, I'm hoping you noticed--I'm
 23 sure you noticed at this point the nature of the soils that
 24 we walked down through. They're quite slippery. Okay. A
 25 truck got stuck in one. Why? Why is it so slippery? It's

09:55 1 the amount of clay in the soil. These soils are very, very
 2 high in clay, and very different from the ones that we saw
 3 yesterday at Shushufindi-34. These are much richer in
 4 clay. If any site was going to have the ability to retain
 5 the contamination within the soil, this would probably be
 6 an excellent candidate to find that because it is so rich
 7 in clay. So, this is a good place to test if the
 8 hypothesis that if clayey soils can do a really good job,
 9 we should see it here. Okay.
 10 And you can see as an example the clay in the
 11 soils immediately behind you here, the red soil as you go
 12 on the side of the steps here. The fellows from
 13 Petroamazonas cut these steps in. We're dealing with some
 14 very, very slippery material just a few days ago to put
 15 those steps in. So, anyway, clay is very prevalent here,
 16 and it's prevalent at the top of the hill and it's
 17 prevalent down the side of the hill here as well.
 18 So, how did we explore this area? Why did we pick
 19 this particular area below us here? Well, we noted the
 20 spring, as I mentioned here in the record, and the fact
 21 that it had been reported that it was contaminated, if it
 22 was oil seeping out from this general area. So, we
 23 undertook to do a small soil gas survey here and identified
 24 locations that were likely candidates for the presence of
 25 oil. So, essentially, these locations here were guided by

09:57 1 the use of the PID instrument that we used the other day.
 2 Okay. And so we used that to try to place these samples,
 3 just to kind of characterize the material coming out of the
 4 stream and the general area of seepage around the spring.
 5 Okay.
 6 Just before I continue, if you would flip to
 7 Respondent's Tab 20, Page 1.
 8 In the distance there are these various points.
 9 The highest value that we found here is that the orange
 10 flag in the distance there, the flag symbol pointing to the
 11 right, so that's a value of about 14,000 parts per million
 12 based on our TEM method. Okay.
 13 Some of the other points of note here, the red
 14 square has soil of about 7,000, 6,800 parts per million,
 15 and it also has groundwater contamination of TPH at almost
 16 4 milligrams per liter. Mind you, the standard for
 17 groundwater is .325 milligrams per liter on that scale.
 18 So, in any case, we see a number of locations with elevated
 19 contamination as a result of petroleum hydrocarbons in the
 20 soil here, and there's also a number of groundwater
 21 locations as well.
 22 If we were to measure that, the location in the
 23 orange flag by Method 8015--and actually we did that--the
 24 value is about 4,000, just under 4,000 parts per million.
 25 So, it's still quite elevated at that orange flag, even by

09:59 1 the lesser method at the local level--a less-vigorous
 2 method, if you would.
 3 PRESIDENT VEEDER: Give us the figure again.
 4 DR. GARVEY: About 4,000 parts per million. It's
 5 still the--it's the value that's labeled on my map at
 6 14,000.
 7 PRESIDENT VEEDER: Okay.
 8 DR. GARVEY: At that location then. So, by our
 9 method, 14,000; by Method 8015 just under four, 3900.
 10 Okay.
 11 And certainly, by Method 8015 we find all of these
 12 points over--essentially all of these points over many of
 13 the standards as well as the cleanup criteria specified in
 14 the judicial decision.
 15 Many of the samples also have PAH contamination,
 16 Polycyclic Aromatic Hydrocarbons. That particular high
 17 one, the one with the orange flag there, had a value of 126
 18 parts per million, well over the regulatory threshold of
 19 one part per million.
 20 In addition to that one point we talked about, as
 21 I said, many of these other locations also show
 22 contamination due to crude oil. Okay.
 23 By Method 8015, in fact, six of the nine locations
 24 here given by the circles and the diamonds and the squares
 25 and the triangles and the like, just the simple coded ones,

10:00 1 not the ones with the borders, about six out of nine of
 2 them would exceed the 100 PPM threshold. So, from our
 3 perspective, all this area is impacted essentially.
 4 Now, the levels of contamination down at the
 5 bottom of the hill here. We have pits at the top of the
 6 hill. We have perhaps, arguably, a pit to the side here,
 7 perhaps not. Okay. In any case, that's not the pit.
 8 Okay. This area of contamination, you have elevated
 9 contamination, is not a pit under anybody's assertions, yet
 10 it contains significant levels of contamination.
 11 So, how did it get there? Okay. We're looking
 12 for a pathway. How did this material end up down the hill
 13 all the way from the operating facilities at the top of the
 14 hill here? There is one of two possibilities, really:
 15 Either the material spilled over the top and rolled down
 16 the hill to settle in this little basin near the shallower
 17 area or flatter area, or--and this is more likely--it
 18 traveled with groundwater, and I'll show you some evidence
 19 later as to why we think it traveled with the groundwater,
 20 not very--not dissolved in groundwater now, but as a
 21 subterranean flow perhaps just above the water table the
 22 oil essentially traveled through cracks in the soils and
 23 the like.
 24 So, with regard to groundwater, the groundwater
 25 here we would note is quite contaminated. Chevron has

10:01 1 marked all the groundwater stations that we have in this
 2 area with those green triangles again. However, I am quite
 3 curious as to why they're all green. Five of the six
 4 values that we have here exceed the Ecuadorian drinking
 5 water standard for groundwater. Okay. None of them--only
 6 one value falls below 300 parts per billion. All of the
 7 others are in excess of that. So, five of the six
 8 triangles that point downward exceed the drinking water
 9 standard. In fact, we have a couple of values here that
 10 are ten times higher than the drinking water standard,
 11 about 3,000 parts per billion. Okay.
 12 So, we don't, again, we don't understand the basis
 13 for this. We have no numbers for these wells that would
 14 indicate a low concentration. And we can argue about how
 15 to interpret the numbers that we have, we actually have no
 16 numbers below--save one below 325 parts per billion. Okay.
 17 Now, one point about these wells before I
 18 continue, Chevron's experts may assert that these
 19 locations, when we installed these locations that we
 20 entrained the material down into the well, and that's the
 21 reason that we have high numbers, that the process of
 22 installing the well, we incorporated surface materials or
 23 other sediments and brought them down. And we have
 24 established already this area is contaminated to begin
 25 with. All right?

10:03 1 But I would just make this following note. Louis
 2 Berger's geologists that were responsible for this
 3 inspiration had between 20 to 30 to 40 years of experience
 4 as hydrogeologists installing wells. We know what we're
 5 doing. To say that we've entrained that material as part
 6 of the installation process is really ludicrous. I would
 7 also point out--
 8 PRESIDENT VEEDER: I know you're on a time limit,
 9 but speak a tiny bit more slowly because otherwise we lose
 10 what you're saying.
 11 DR. GARVEY: I would point out that Chevron's
 12 Experts, to our knowledge, have not installed a single
 13 monitoring well in the Concession Area. They have sampled
 14 groundwater from various homes that have hand-dug wells,
 15 but they, themselves, did not install any monitoring wells,
 16 permanent monitoring wells, that we are aware of, so we
 17 haven't seen any data from them. Okay.
 18 So, you can see here that there is a clear risk to
 19 human health. Okay.
 20 Let me just turn to Respondent's Tab 16 before I
 21 continue with the human health risk. I just want to give
 22 you a feel for what this area looked like beforehand.
 23 This picture here--I don't have a blowup of it but
 24 you have it in your handouts--that picture was taken down
 25 there below us. Okay. This is the environment that we had

10:04 1 to work with when we were placing these wells. Just to
 2 give you an idea of how much things have changed since we
 3 were here last, that was the condition a year ago in June
 4 of 2014, okay, a very thick, dense rainforest. All of this
 5 clearing has taken place since then. The point being here
 6 is that again, this area is undergoing dynamic development.
 7 It's constantly changing. What was once a very dense
 8 rainforest that was very difficult for us to work in has
 9 now become a farmer's field.
 10 So, with that, we can clearly show that human
 11 exposure is very likely here. There's contaminated soils
 12 that are down there below us, marked by those placards, are
 13 part of the farmer's field. This is a subsistence farmer.
 14 He's planting corn by hand. He's going to come in contact
 15 with those soils as he plants his corn is that corn is
 16 potentially able to uptake material from the soil and
 17 result in contamination. The farmer may also graze his
 18 livestock in here or chickens and the like where they can
 19 also be exposed, so we have clear and current human
 20 exposure here. Okay.
 21 In addition to this human exposure--I need to
 22 point out that the risk assessment that Dr. Strauss
 23 conducted shows there to be unacceptable risks here for
 24 human exposure under a current use scenario based on these
 25 soil samples. Under a future use scenario, you might put a

10:06 1 house right here. It's a nice view. Okay. Look out
 2 across the hill here. It's a little bit out of the way,
 3 out of the soggy swamps below us. It would be a nice place
 4 to put it. Okay. Groundwater here is contaminated. Soils
 5 here are contaminated. Both of those would pose risks
 6 under a future use. In fact, under this--I believe under
 7 this--at this site the groundwater here poses a human risk,
 8 an unacceptable human risk to both non-cancer endpoints as
 9 well as cancer endpoints. Okay.

10 So, this contamination--so again I'm going to
 11 finish up here, just to want to review, then, contamination
 12 is not limited to the vicinity of the pits up at the top of
 13 the hill here if we downhill a significant distance away
 14 from the pits, and we have significant levels of
 15 contamination here.

16 Mr. Chairman, if you wouldn't mind, we do have a
 17 bucket of soil from this area. I had Shane go back and get
 18 that from the areas immediately here, not from the pit, but
 19 from the areas down here at the swamp.

20 PRESIDENT VEEDER: Any objection to that?

21 MS. WOOD: I just want to, if I might clarify,
 22 you're talking about the area where you sampled in your
 23 Expert Report, Dr. Garvey?

24 DR. GARVEY: Yes.

25 Shane, is that correct?

10:07 1 MS. WOOD: No objection.
 2 DR. GARVEY: Okay. So, this is material from the
 3 area where we sampled. Okay. If you remember yesterday
 4 when we put this PID near the oil coming out of the seeps
 5 at the other pit--if you would, Shane.

6 MR. McDONALD: It's about zero now. This is a
 7 swampy sample. This is the best I can do under these
 8 circumstances.

9 6, 7, 8, 9, 11, 12, 13, 16--sorry, 17.

10 DR. GARVEY: Okay. So, it's impacted. It's not
 11 as impacted as some of the materials we would have shown
 12 you, but suffice it to say this material still contains
 13 oil. All right.

14 So--all right. To finalize--just to wrap up here,
 15 again contamination is not limited to the pits or directly
 16 attributable to TexPet, that this site is not on a
 17 weathered state, but we'll show you that a little bit
 18 later.

19 The soils of the Oriente are not so clay-rich as
 20 to prevent the migration of contamination this far away.
 21 We are tens if not--even about 50 or 100 meters away from
 22 the pits at the top of the hill here. So, it's a
 23 significant distance to transport, okay? And included in
 24 the concentrations that we see both in the soils and in the
 25 groundwater are elevated. This is clearly a significance

10:08 1 distance of transport.
 2 Has it got an odor to it?
 3 MR. McDONALD: It does.
 4 MR. EWING: I'll offer it to them.
 5 We have gloves. It's likely we'll be offering
 6 them to you for our next stop where we will be seeing more.
 7 But we do have gloves.

8 ARBITRATOR LOWE: We could smell it in a bucket.
 9 I don't see how the glove would help my nose.

10 PRESIDENT VEEDER: Are you ready?
 11 MS. WOOD: To smell or to object?
 12 PRESIDENT VEEDER: Smell.
 13 (Laughter.)

14 DR. GARVEY: All right. So, to conclude, then,
 15 these soils are not so clay-rich as to prevent this kind of
 16 contamination from making it this kind of distance away
 17 from the hill site, and actually, we're going to show
 18 contamination yet still further from this area. Okay.

19 MR. EWING: We are going to be moving downhill to
 20 where you can see the tent off to the side, where the blue
 21 circle is, an area that is similar to what is here, more
 22 easily accessible.

23 A couple of things before Carol objects.
 24 So, when we were here and asking permission from
 25 the landowner to put these accessibility modifications in,

10:10 1 he granted his permission gladly, and said: Oh, but there
 2 is also another place you might want to see.
 3 And he took us over there last week. When he took
 4 us there, I had been here in the morning with Mr. Bianchi
 5 from Chevron. We hadn't yet done this because we did
 6 accessibility modifications at the end. As soon as we
 7 found that, we called Mr. Bianchi and I told him that
 8 afternoon what we had found. So they've known this for
 9 about three to four hours less than we have of this
 10 existence. So that's where we're going to head.

11 PRESIDENT VEEDER: Has Mr. Bianchi been out there,
 12 or anybody from Chevron?
 13 MR. EWING: Yes. Yes, they have.
 14 Just a couple of quick things, practical things.
 15 Please do be careful on these steps. We're going
 16 to be going across more slippery logs. We do have gloves
 17 for down there; I think you may want them, at least some of
 18 you may want them. And then you'll also notice along the
 19 way some little yellow flags which we have in our list of
 20 signals, the second rail, we called them oil blossoms, but
 21 we'll talk about those more at the bottom. Just look for
 22 those as you walk.

23 PRESIDENT VEEDER: One more moment.
 24 ARBITRATOR LOWE: There are two questions I've
 25 got. One, I think, is for you, Dr. Garvey.

10:11 1 When you find results, how do you decide how many
 2 samples you take, and particularly when you get a result
 3 like the 14,000 orange flag down there?
 4 DR. GARVEY: Well, okay, that's--you asked--well,
 5 very quickly here. We didn't have the 14,000 parts per
 6 million sample before we laid out this grid. We kind of
 7 said we wanted to characterize the general level of
 8 contamination. One sample is not sufficient.
 9 Actually, we'll show you some evidence this
 10 afternoon to show why you can't rely on single samples. So
 11 we placed about a half a dozen, maybe eight points here to
 12 say this will give us a pretty good average, basically
 13 simple linear statistics, eight numbers is a good start for
 14 an average, and so that's what we did here. We said okay,
 15 we place about eight samples here in this general
 16 area--maybe there's nine--but basically eight to nine
 17 samples in this area as a basis, say, let's get an idea of
 18 what the average looks like, what's the average level of
 19 contamination, and, you know, lo and behold, we found the
 20 14,000, but we didn't know that going in. We knew it was
 21 visually contaminated. We know there was a history of it.
 22 We inspected this and seen the oil contamination, but we
 23 selected a number of samples knowing that we want to get a
 24 pretty good estimate. We want to avoid individual sample
 25 variations and say, okay, let's take a bunch, if you would,

10:13 1 throw a few darts, and say, okay, this is a reasonable
 2 estimate to get a basis for these many samples.
 3 ARBITRATOR LOWE: Thanks. That's that question.
 4 The second question I had, you've referred to this
 5 being the farmer's land. In circumstances where there's
 6 been a pit created on farmer's land--no, let me ask the
 7 question first. Are there instances in any of the sites
 8 that we're visiting where the pits have been created on
 9 land that belonged to the farmer?
 10 MR. EWING: Are there--
 11 ARBITRATOR LOWE: And was there yesterday, the
 12 pits that we saw yesterday?
 13 MR. EWING: Just to make sure I understand what
 14 you're asking, are there pits that were created on the
 15 landowner's or the farmer's land around the sites?
 16 ARBITRATOR LOWE: Yes.
 17 MR. EWING: So, yes. This, these pits, yes.
 18 Shushufindi-34, where we were sitting, was in the farmer's
 19 land where he is growing his cacao plants, and there are
 20 more there.
 21 ARBITRATOR LOWE: And was it the farmer's land at
 22 the time when the pits were created?
 23 MR. EWING: I can talk for sure about Lago
 24 Agrio-02. I know a little bit more about the documentation
 25 and the history there. So, for instance, the families that

10:14 1 lived at Lago Agrio-02, where we will be going tomorrow,
 2 they have been living there the whole time, so that land
 3 has been theirs the whole time around the platform, and the
 4 same for Shushufindi-55, where we will go this afternoon.
 5 You'll see the houses and the people that have been living
 6 there since 1975.
 7 I don't know the ownership particularly here or at
 8 Shushufindi-34, but I would be happy to find that out.
 9 ARBITRATOR LOWE: I would perhaps leave it to a
 10 more appropriate site. But what I'm interested in is what,
 11 if any, arrangements were made with the farmer for the use
 12 of his land in those circumstances, and presumably there
 13 was some kind of arrangement. They didn't just come and
 14 dig a big hole on his land without asking him. But I will
 15 leave you to find that out for the sites that we're looking
 16 at to which it may be relevant.
 17 Thank you.
 18 MR. EWING: Now, just to quickly answer, we will
 19 look. I'm not aware of any documentation of any
 20 arrangements that were made during TexPet's era, but we
 21 will look into them.
 22 PRESIDENT VEEDER: Before we move, just talk us
 23 through what we are going to do for the rest of the
 24 morning. We're going to do down these steps and then what
 25 after that?

10:15 1 MR. EWING: Yes. So, we are going to go down
 2 these steps to this location of the tent. Dr. Garvey will
 3 primarily speak there. We will finish our affirmative
 4 presentation and hand the floor to Claimants, who will do
 5 their--
 6 PRESIDENT VEEDER: And what will the Claimants be
 7 doing? Come back up here?
 8 MS. WOOD: It somewhat depends on--it depends on
 9 your ruling on my continued objection and a supplement to
 10 my objection that I would like to make next, but we'll both
 11 speak from here as well at some point.
 12 PRESIDENT VEEDER: Okay. You're making a
 13 supplemental objection.
 14 MS. WOOD: Yes.
 15 Going to the side that they're proposing to take
 16 you to now is a clear violation of the Protocol. As you
 17 heard Ms. Ewing just say, they did not learn of this
 18 location until last week when the farmer came and talked
 19 with them. Obviously, we were not privy to that
 20 conversation. We had no idea where this came from, how it
 21 was put here, and, quite frankly, where we have had or some
 22 of our support staff have had access to the site. If
 23 anything, it has raised suspicions in our mind as to how
 24 the material came to be here.
 25 Once again, as I said before, we had no idea what

10:17 1 Dr. Garvey is getting ready to say at this site. So you
 2 are allowing a--if you would take us down there, you would
 3 allow a witness to testify, and we have seen no Witness
 4 Statement whatsoever about this site. They have not even
 5 shown you that this was a location they identified as a pit
 6 in their aerial photograph. It is a completely new site
 7 that they investigated just a few days before this Site
 8 Visit started. We have had no opportunity to investigate
 9 it, to determine what's out there. They had no samples;
 10 they did not, and they were out here for several years.
 11 They were all over this area and took samples. We could
 12 look at those samples, we could comment on these samples
 13 and the data, and we were able to do that at the Hearing.
 14 We are now being taken to a completely new site that just
 15 was made available--given notice to us a few days ago, and
 16 we had no samples, no information about this, and we are
 17 getting ready to hear a witness testify on something
 18 completely brand new.
 19 So, for all of those reasons, we would object to
 20 going down there or having the Witness discuss that site.
 21 PRESIDENT VEEDER: What's your response?
 22 MR. EWING: A few things.
 23 To start, this has been--these seeps in this area
 24 have been well documented, and I can ask Dr. Garvey to
 25 explain how what we will be looking at--

10:18 1 PRESIDENT VEEDER: That's one thing you can do.
 2 You're going to explain.
 3 MR. EWING: You'd like me to?
 4 PRESIDENT VEEDER: Yes.
 5 MR. EWING: So, the area that we will be looking
 6 at, as you can see in the pictures that are in our Site
 7 Packet, looks very similar to the area that LBG sampled.
 8 Maybe the more fundamental point is that we asked
 9 you to come here to be able to see for yourselves what this
 10 contamination looks like. According to HBT Agra, according
 11 to Dr. Hinchee at the Hearing, you can visually inspect for
 12 oil, and visual inspection and olfactory inspection is
 13 adequate. We want to take you here and let you see for
 14 yourselves.
 15 PRESIDENT VEEDER: That goes for the ones with the
 16 flags, but this is a new site. We're not experts. Why is
 17 it that you're taking us to this new site, and what is
 18 Dr. Garvey going to tell us?
 19 MR. EWING: Would you like him--
 20 PRESIDENT VEEDER: No. We want you to tell us.
 21 MR. EWING: So, what Dr. Garvey is going to
 22 explain to you is that what we are finding over here to
 23 your left is identical to what we have here in that there
 24 is oil seeping from the pits above, and it's coming out of
 25 the ground here.

10:19 1 PRESIDENT VEEDER: What does this add to your
 2 case?
 3 MR. EWING: This adds to our case the ability to
 4 see how far liquid oil goes. Because seeing liquid oil
 5 while standing there, being able to recognize how far it
 6 has gone, completely disproves the assertion that oil
 7 contamination is contained within pits or even within the
 8 platform areas that TexPet originally had created.
 9 ARBITRATOR GRIGERA NAÓN: Excuse me. And that
 10 access was made by you guys?
 11 MR. EWING: Correct.
 12 ARBITRATOR GRIGERA NAÓN: Without participation of
 13 Chevron or knowledge?
 14 MR. EWING: I was here with representatives from
 15 Chevron, and I walked through all of these modifications
 16 with at least two people from Chevron's team and explained
 17 what we were planning to do before we had done it. And
 18 then once Ms. Wood was here, we came and we walked through
 19 it again, so...
 20 MR. BLOOM: Just one quick point, and that is, we
 21 do not consider this a new site. The site is Aguatico-06.
 22 There is nothing to stop the Members of the Tribunal--we've
 23 encouraged it from the beginning--to walk the site
 24 yourself. The purpose here is to look at a site that we
 25 have long identified, long argued about and essentially see

10:20 1 it. I think it's going to speak for itself. I think you
 2 get something more if you have someone with the background
 3 to tell you what it is that you're seeing, but this is not
 4 a new site.
 5 MS. WOOD: May I respond?
 6 PRESIDENT VEEDER: Yes.
 7 MS. WOOD: A couple of points. One, we have just
 8 heard that it is irrelevant to go to the other site because
 9 it's doing nothing other than proving where they have
 10 already sampled; where they have actual data, where they
 11 can make the points that they want to make at this site.
 12 So there is no need to go to this other site because they
 13 already have a site that they can show you that both sides
 14 have had privy to. We have sampling data from here. We
 15 can comment on that.
 16 In response to the comment about Chevron has known
 17 of this site and in response to Dr. Leon, these
 18 modifications were all made by Ecuador. We knew about this
 19 site simply because they said we're going to make a
 20 modification to go all the way over to the site, and we
 21 found stuff there. That is completely different from
 22 having an expert testify to this Tribunal and say, "This is
 23 what this means scientifically." I have an expert who has
 24 never seen this site, never seen that location, and has no
 25 idea what Dr. Garvey is getting ready to say other than the

10:22 1 paraphrasing that Mr. Ewing just said.
 2 I would also say that we specifically requested to
 3 come to this site once our Expert was in town and heard
 4 about these extensive modifications. Ecuador objected.
 5 The Tribunal, enforcing the Protocol said, no, you cannot
 6 go to the site.
 7 If we go to this location, it is a violation of
 8 the Protocol. In addition, it is irrelevant because they
 9 already have a site that we are not objecting to, that
 10 everyone knew months ahead of time was what we were going
 11 to look at and what we were going to see at this site.
 12 So, I would object strenuously to go a site that
 13 was recently discovered, that, quite frankly, we do have
 14 some suspicions about as opposed to a site that both sides
 15 have been able to analyze and be prepared to provide our
 16 side of the story to the Tribunal and fully answer the
 17 Tribunal's questions.
 18 MS. MILLER: If I could just clarify about the
 19 modification process--
 20 PRESIDENT VEEDER: No, wait.
 21 MS. MILLER: Okay.
 22 PRESIDENT VEEDER: The debate, I think, has gone
 23 as far as we can--
 24 MS. MILLER: Okay.
 25 PRESIDENT VEEDER: --I think, and we need to know

10:23 1 about a modification.
 2 Let's stop there. We've got to decide what we're
 3 going to do about both objections. So we will go to our
 4 retiring room in the jungle and come back.
 5 (Laughter.)
 6 (Tribunal conferring away from the Parties.)
 7 PRESIDENT VEEDER: Let us resume.
 8 The Tribunal has had a chance to deliberate on the
 9 two objections that have been made by the Claimants to the
 10 Respondent's presentation, and we will take each in turn.
 11 But, before we do so, we want to stress two things. One,
 12 we are determined to stick to the Protocol. We did it on
 13 the first day; we're going to do it again today.
 14 Number 2, we do not see this, from the Tribunal's
 15 perspective, as an evidence collection exercise. The
 16 evidence is in, and we're here to understand that evidence.
 17 We're, of course, prepared to see illustrations. We're not
 18 here to hear and collect brand-new evidence which is not on
 19 the record.
 20 So, if we turn to the first issue, we're prepared
 21 to go over to that pit to our right on the issue of whether
 22 it's a pit or not. That's an issue between the Parties
 23 which is well understood and which both sides have advanced
 24 notice, but we're not prepared to look at samples taken
 25 from that pit.

10:33 1 The second matter is much more problematic. We do
 2 think the Respondents have been--sorry, the Claimants have
 3 been caught by surprise, and unfairly so. On the other
 4 hand, we understand the Respondent's desire to show us what
 5 it looks like; that is, to see oil on the surface of water
 6 as an illustration. So, again, we're prepared to go
 7 down--this is on the left-hand side of where we're looking
 8 at--to look at that as an illustration, but we're not
 9 prepared to hear Dr. Garvey or any other expert interpret
 10 what we see or smell. We are going to hear counsel, that's
 11 you, and you can tell us as an illustration, as a general
 12 illustration, but not as a new example of environmental
 13 pollution.
 14 So, that's our ruling. I hope it's clear. We can
 15 finish, I hope, any presentation now the Respondent wants
 16 to make on this platform, and we can hear the Claimants if
 17 we need to.
 18 MS. WOOD: May I just ask a clarification.
 19 So, we will go down to the site over here. And
 20 did I hear you say that you were just going to look at the
 21 site--
 22 PRESIDENT VEEDER: Correct.
 23 MS. WOOD: --and so no discussion--
 24 PRESIDENT VEEDER: Well, we can be told by counsel
 25 "look there" rather than "look there because otherwise

10:34 1 you're missing what I'm trying to tell you about," but no
 2 more: Not Dr. Garvey, no scientific interpretation, no--
 3 MS. WOOD: And then, likewise, if I see something
 4 I want to point out--
 5 PRESIDENT VEEDER: Of course.
 6 MS. WOOD: --I could also point that out.
 7 PRESIDENT VEEDER: But not your experts.
 8 MS. WOOD: Not experts.
 9 PRESIDENT VEEDER: And there won't be evidence.
 10 It's simply an illustration of what oil might look like on
 11 the surface of water or running water.
 12 And now it started raining.
 13 MR. EWING: We do have a tent there.
 14 PRESIDENT VEEDER: Oh, okay.
 15 MR. EWING: But we have nothing further here, so
 16 if we could proceed.
 17 Just to clarify, would you like to go over there?
 18 PRESIDENT VEEDER: Whatever you want. If you want
 19 us to, we will.
 20 MR. EWING: I would like to take you here, and
 21 that way use up our hour.
 22 PRESIDENT VEEDER: Oh, okay.
 23 MR. EWING: So, while I would love you to walk
 24 over there, it's not--
 25 PRESIDENT VEEDER: Is it easy or is it

10:35 1 helicopter--
 2 MR. EWING: It's more difficult.
 3 PRESIDENT VEEDER: Okay.
 4 MR. EWING: It's probably why we're not going
 5 there.
 6 PRESIDENT VEEDER: We can send the Secretary.
 7 (Laughter.)
 8 (Pause.)
 9 PRESIDENT VEEDER: We're now at Respondent's
 10 blue-circle site, and we're going to hear counsel, but will
 11 not be evidence. This will be explanations.
 12 MR. EWING: Thank you, Mr. President.
 13 I'm happy to use this as an example, an
 14 illustration of what we have attempted to present to you in
 15 our pleadings in LBG's Expert Reports.
 16 The first to give us a little explanation of where
 17 we are. Right now straight in front of you, you will see
 18 LBG's sampling locations, and beyond those is the spring
 19 that Dr. Garvey had pointed out. So, what we are in now is
 20 a swale, a drainage swale, that comes from that spring,
 21 through LBG's sampling points, down through here, and
 22 you'll see right here, as you walk back, where this
 23 drainage runs into the stream.
 24 So, this is all a part of the same feature, the
 25 same drainage that LBG had sampled above us. This is a

10:45 1 more easily accessible one, which is why we wanted to bring
 2 you here to show you what that area looked like.
 3 There are a couple of key aspects to what this
 4 illustrates for us. One is how the contamination flows
 5 down these drainages. Once it is into the water, once it's
 6 with and working in these sediments. Dr. Hinchee testified
 7 at the Hearing about how once the contamination reaches the
 8 stream, you'll necessarily have to clean up sediments, and
 9 it may travel very long distances.
 10 So, what we have here is contamination in
 11 sediments. And, in fact--as you may have noticed the
 12 yellow flags, this is one of them--we have the oil that is
 13 on top of the surface and is exuding out from underneath
 14 the ground. If you would like to smell this--you don't
 15 have to--you may take my word, if you like.
 16 PRESIDENT VEEDER: Can you smell it?
 17 ARBITRATOR LOWE: Yes. It's overpowered by the
 18 smell of the gloves.
 19 MR. EWING: No, the gloves don't smell like
 20 anything. Maybe a newer one.
 21 PRESIDENT VEEDER: That's the glove. You're
 22 right. So the glove does--
 23 MR. EWING: I'm pretty confident it's not the
 24 glove.
 25 So, what this shows to you is what this

10:47 1 contamination looks like; as you look around, you'll see
 2 it.
 3 And the other really important illustration here
 4 is, if you look around, you see this corn that the farmer
 5 has planted, and the close proximity within which it is
 6 planted with the oil that we have now found coming from up
 7 above. This corn is in many places planted right on top of
 8 it, and especially as you're walking back to the path, when
 9 you look to your side, you'll see these yellow flags, and
 10 you'll see where the oil has come out and reached the
 11 surface, and you'll see that the corn is planted in and
 12 around that corn (sic).
 13 I mentioned earlier that HBT Agra and
 14 Fugro-McClelland had found and had documented that this was
 15 happening down in this plantation, that this oil
 16 contamination had been spreading. In 1982,
 17 Fugro-McClelland said that the pit up above us was,
 18 "seeping oil," and that's Exhibit C-12 at Section VI.4.
 19 And, in 1993, HBT Agra, who was the joint auditor
 20 hired by both Parties, found that there are oil wastes in
 21 the pits up on the hill above us, and that each pit,
 22 "contaminants have migrated beyond the confines of the
 23 pit," and that's Exhibit C-13.
 24 When Woodward-Clyde came here--Woodward-Clyde is
 25 the Contractor that was hired by TexPet to assess the

10:49 1 contamination or assess the Oriente and to develop the pits
 2 in areas that needed to be remediated. So, when TexPet's
 3 contractor came, they noted that--they have a drawing of
 4 this area, and this is Claimants' Tab 5 of their Report--of
 5 their Site Visit Packet, and it's on Page 9, and it's a
 6 drawing from Woodward-Clyde that shows this plantation, is
 7 what they called it, it having oil seeps coming out of the
 8 ground. And whether they identified this exact one, maybe
 9 one up a little further, maybe the one LBG sampled, it was
 10 all part of this drainage that they identified.
 11 And then it says, you know, that there is an oil
 12 seep. And they noted in their documentation that there is
 13 a leak of oil from above down into the plantation below.
 14 And again, that's our Exhibit R-610, at Table 3.1, where
 15 it's included as Tab 8, Page 8.
 16 So, this has been known and documented for a
 17 period of time. Since we have been here, since LBG sampled
 18 here, as Dr. Garvey said, these trees have been cut down.
 19 So, again, this is an illustration of how these sites
 20 changed pretty dramatically even in the periods of time
 21 we're talking about. This site, for instance, is now
 22 really a farm. Based on Woodward-Clyde's description in
 23 1995, it may also have been a farm. They called it a
 24 plantation. In between, it became a forest, and now we're
 25 back to farm. So these sites change dramatically over

10:51 1 time.
 2 Another point of illustration, the path that we
 3 just walked down, we just put the boards down on the
 4 owner's path, and he walks back and forth through there all
 5 the time. So, we are just using some of the same features
 6 that they have. And we originally put that in, in part to
 7 where it went to the stream, I think Clarence may take you
 8 there, in part also to come here. So, he crosses the
 9 stream and walks through.
 10 And just if I can take one second.
 11 PRESIDENT VEEDER: Of course.
 12 (Pause.)
 13 MR. EWING: If you guys would like gloves and
 14 would like to touch any of this, we have plenty of the
 15 gloves.
 16 PRESIDENT VEEDER: Okay.
 17 MR. EWING: And I think they don't smell.
 18 But that is--we wanted you to see this. It is, as
 19 you said, an illustration of what we've been trying to show
 20 you.
 21 (Discussion off the record.)
 22 PRESIDENT VEEDER: Thank you.
 23 OPENING STATEMENT BY COUNSEL FOR CLAIMANTS
 24 MS. WOOD: While we're here, why don't I make
 25 three quick points, and we can go up top where there is a

10:54 1 better breeze.
 2 What Mr. Ewing just said about the knowledge of
 3 petroleum coming from the pit up top, we do not disagree
 4 with them. As a matter of fact, I'm going to show you
 5 those documents when we get up to the platform. He told
 6 you it was '92, it was '93, '95. What also happened in
 7 1995? That was when Ecuador agreed that TexPet had no
 8 obligation to remediate anything at this site pursuant to
 9 the RAP. They had full knowledge of all the documents he
 10 just told you about. They knew that there was petroleum
 11 impacts at this site. But they then said, okay, TexPet,
 12 you do not have to remediate that. It's consistent with
 13 what Mr. Bishop told you yesterday. And what Ms. Renfroe
 14 told you is there was a division of environmental
 15 responsibility of these sites because it is not just
 16 TexPet, as Mr. Ewing continues to say. It was Consortium.
 17 It was not TexPet oil. It was Consortium oil. And Ecuador
 18 was by far and away the largest member of that Consortium.
 19 They were getting the largest share of any revenue that was
 20 made off that oil.
 21 It was not TexPet oil. It was Consortium oil.
 22 Ecuador knew about these impacts when the RAP was signed,
 23 and Ecuador still said, okay, we'll take that, Petroecuador
 24 will take that, and, TexPet, you clear up other areas
 25 outside of Aguarico-06. And we will walk you through the

10:56 1 documentation so you can see that. That's my first point.
 2 Second point, again, Mr. Ewing continues to say,
 3 well, Petroecuador did not produce oil from this site. He
 4 did acknowledge that there was an injection well for the
 5 produced water down the injection well. He didn't tell you
 6 that they had to rehab that well. They couldn't pull oil
 7 out that might be in there in order to turn it into an
 8 injection well.
 9 There were over four workovers that occurred at
 10 the well site here. There is no indication--we don't have
 11 the records from Petroecuador. All of what we can find is
 12 publicly available, but they also performed work here.
 13 They rehabbed the well, they ran site water injection, and
 14 they did workovers at the site.
 15 In addition, if you look at the documents in the
 16 packets we gave you, they've also inventoried, as a list of
 17 the environmental liabilities, they've inventoried the
 18 site, specifically referencing impacts into the estuary.
 19 So, you can see the continuing of they knew about the
 20 contamination. We said, okay, we'll take this site because
 21 Petroecuador was going to continue to use it, if not as an
 22 operating oil well as an injection well, and then they took
 23 responsibility for any type of petroleum impacts here.
 24 So, it perfectly underscores the point we're
 25 trying to make: There was a contract between the Parties,

10:57 1 the Parties decided who would do what. Without a complete
 2 release--TexPet received a complete release from Ecuador
 3 after they knew about this site, and TexPet nor Chevron had
 4 any responsibility for remediating petroleum impacts at the
 5 site. The other thing I want to point out--so those were
 6 two, the RAP, and this is not a TexPet-only site.
 7 The other thing I wanted to point out--and this is
 8 still consistent with what Mr. Connor has said, and he's
 9 going to talk with you about it more up top--is there are
 10 still limited impacts. You do not see swathes of petroleum
 11 here. LBG has had access to this site for over three
 12 years. The most they are able to show you is what we saw
 13 in that limited area down from the platform and this here.
 14 They have not shown you that there is widespread
 15 contamination. There are pockets of impacts, and again
 16 Mr. Connor is going to talk with you about it more.
 17 The other point I want to make to you is when you
 18 go to here and you have been picking up the oil, you're not
 19 seeing anything underneath the oil. It's on top. And I
 20 want to show you that particularly there in the pathway
 21 because you will also see petroleum sitting on top of the
 22 sawdust that was used to make the platform.
 23 So, it raises suspicion of where did this
 24 petroleum come from? How did it appear, particularly along
 25 the pathway. You pass a pink flag is what they do here

10:59 1 about, I don't know, about 20 yards, and look at it. It's
 2 petroleum, but it's sitting on top of the ground. It's
 3 sitting on top of the sawdust.
 4 So, that is why we were concerned about coming to
 5 a location that we have never inspected before and are not
 6 quite sure how petroleum got in this area.
 7 So, those are the points I wanted to make while we
 8 were here.
 9 What we're going to do next is we're going to go
 10 down the pathway and we're going to stop at the stream, and
 11 I'm going to have Dr. McHugh talk with you about the stream
 12 that Ecuador has said they have real concerns about the
 13 quality of the stream. I will let Dr. McHugh talk with you
 14 about what the data shows.
 15 PRESIDENT VEEDER: Thank you very much.
 16 MR. EWING: Real quick, Members of the Tribunal.
 17 I want to propose, we would want to rebut what
 18 Ms. Wood just said in that this is not deep here. My
 19 proposal would be if we could just dig that now instead of
 20 going back up and coming back down.
 21 PRESIDENT VEEDER: Both comments takes us beyond
 22 our ruling, so let's leave it there. We just wanted to see
 23 what it might look like, and we have done that.
 24 MR. EWING: Okay. Thank you.
 25 PRESIDENT VEEDER: So, we will stop this part of

11:01 1 the session and we will resume down the track.
 2 (Pause.)
 3 MS. WOOD: I just wanted to stop for a moment here
 4 and point out to the Tribunal--again, Mr. Connor is going
 5 to explain the flagging to you, but there was both a
 6 surface water and sediment sample collected there, and
 7 those markings show that it met all standards, met
 8 Ecuadorian standards for sediment and for surface water and
 9 for drinking water. So, I wanted to point that out to you.
 10 ARBITRATOR GRIGERA NAÓN: And the stream is
 11 running that way?
 12 MS. WOOD: The stream is running that way, yes,
 13 sir.
 14 ARBITRATOR GRIGERA NAÓN: All right.
 15 MS. WOOD: Towards that point.
 16 ARBITRATOR GRIGERA NAÓN: Okay.
 17 MS. WOOD: Thank you.
 18 (Pause.)
 19 MS. WOOD: We wanted to stop here because again,
 20 as we've said time and time again, the data is what is
 21 important. What does the analytical data show as opposed
 22 to speculation about what may or may not be somewhere?
 23 There were samples taken by LBG around this stream. We
 24 showed you sample points just over here that was downstream
 25 of where we are. I'm going to ask Dr. McHugh to talk about

11:07 1 what the data tells us about this stream.
 2 Dr. McHugh.
 3 DR. MCHUGH: Yes. So, this is the stream that was
 4 sampled by LBG. They had five sample locations along the
 5 stream. This is the third. So there are two
 6 upstream--that stream is flowing down this way--and there
 7 are two further downstream.
 8 The analytical program and results here are very
 9 similar to the monitoring wells that we saw yesterday in
 10 that the water samples were analyzed using three different
 11 tests for petroleum. Two tests were non-detect. The third
 12 test showed very low levels. But an inspection of the
 13 results again indicates that it's plant material.
 14 Regardless of how you interpret that chromatogram,
 15 all of the analytical results still satisfy Ecuadorian
 16 criteria, World Health Organization drinking water criteria
 17 and EPA drinking water criteria, so this water is safe.
 18 With respect to petroleum, it's safe to drink.
 19 So, when you see these maps showing the sample
 20 locations, the maps produced by GSI and the maps produced
 21 by LBG show all of the locations along here with green
 22 symbols, indicating that they meet criteria; the surface
 23 drinking meets criteria.
 24 MS. WOOD: Okay. And just, if I can stop you
 25 there, Dr. McHugh, so you're saying that both Parties agree

11:08 1 that the stream meets Ecuadorian criteria.
 2 DR. MCHUGH: That's correct.
 3 Yesterday, I believe Mr. Garvey said that you have
 4 to analyze these samples using several different methods to
 5 understand what's going on. Well, in the United States, we
 6 will typically collect a sample, analyze it using only one
 7 method for petroleum. And all three of the methods they
 8 used are widely used in the U.S. and are accepted by
 9 regulatory authorities. And they're all very capable of
 10 detecting petroleum if it's present at a level of any
 11 concern.
 12 And so, in the United States, any one of those
 13 results that returned a non-detect result would have been
 14 sufficient to provide a regulatory authority in the United
 15 States with the comfort that this water was safe and did
 16 not pose a concern.
 17 The sediments also have been shown to meet
 18 criteria when you look at the 8015 results. And, in fact,
 19 the 8015 results for all five samples are particularly
 20 illustrative here because Mr. Short--or Dr. Short, the
 21 Ecuador Expert on petroleum fingerprinting, testified that
 22 for sediment samples that are uncontaminated with
 23 petroleum, you would typically get results by Method 8015
 24 that ranged between 50 and 100 milligrams per kilogram,
 25 that--but it has no petroleum.

11:10 1 The five analytical results collected at these
 2 stations ranged from 124 to 18, and so they're very
 3 consistent with that range that Dr. Short testified was
 4 consistent with this naturally occurring material and does
 5 not indicate any evidence of petroleum.
 6 So, the analytical results within the stream, both
 7 the surface water and sediment, are very clear that this
 8 stream has not been impacted by petroleum.
 9 MS. WOOD: Thank you, Dr. McHugh.
 10 Any questions from the Tribunal?
 11 PRESIDENT VEEDER: Not for the moment.
 12 MS. WOOD: Thank you. Then we will proceed up
 13 back to the platform.
 14 PRESIDENT VEEDER: Okay.
 15 (Pause.)
 16 MS. WOOD: Mr. President and Members of the
 17 Tribunal, I want to elaborate a little bit on the quick
 18 points that I made down below. First, I want to just give
 19 you an overview of what I hope to accomplish in the next
 20 few minutes.
 21 One goes to my point about this was a RAP site,
 22 that Ecuador signed off on the site, that TexPet did not
 23 have to do any remediation with full knowledge there were
 24 petroleum impacts here.
 25 Two, this is not a TexPet-only site. Not only did

11:18 1 Petroecuador operate the injection well, Petroecuador
 2 actually closed the two pits, the only documented pits at
 3 this site, and I will walk you through that.
 4 And then I'm going to turn it over to Mr. Connor
 5 to talk about the limited petroleum impacts that are out
 6 here. I will let Dr. McHugh finish up on his toxicology
 7 opinions, and then have a quick summary of why this site
 8 cannot justify the Judgment.
 9 Just by way of helpful tips for you, in your
 10 mini-Site Packets, at Page 1, we have put together a chart
 11 of just key pertinent facts about each site. Page 2 for
 12 each site is just a chronology--this is in the mini-packet,
 13 I believe you're looking, Dr. Naón, at the Respondent's
 14 package.
 15 ARBITRATOR GRIGERA NAÓN: Oh, I'm sorry.
 16 MS. WOOD: It's okay. It's just so you have this
 17 later on. There is a chronology, and then our data box
 18 maps, not only do you have them in the threefold, but you
 19 also have them in the Site Packet.
 20 ARBITRATOR GRIGERA NAÓN: Oh, yes, right here,
 21 yes.
 22 MS. WOOD: Okay?
 23 All right. So, let me just pull the yellow map
 24 out.
 25 So, let me direct you to what I call the yellow

11:20 1 map, and again you saw this with Mr. Connor at the Hearing.
 2 Ms. Renfroe also showed it to you yesterday. It is in your
 3 mini-packet as well.
 4 And this is the point: Under the Scope of Work,
 5 under the Settlement Agreement between the Parties, the
 6 sites were listed as these sites might need remediation,
 7 might need attention. Then Woodward-Clyde went out and did
 8 an investigation, did an RI, that data was made available
 9 to all the Parties, and then the decision was made as far
 10 as what would go in the RAP, what actually had to be done.
 11 So, initially, and why these two pits are striped,
 12 is initially it was included in the Scope of Work. After
 13 the investigation by Woodward-Clyde coming out here, it was
 14 determined that these two pits did not need remediation.
 15 There was also some soil on the platform. It was
 16 determined did not need remediation.
 17 So, while this was fully addressed in the RAP, the
 18 decision in the RAP was, TexPet, you do not have to take
 19 any remediation actions at this site.
 20 So, I want to make sure everybody is clear about
 21 that.
 22 So, anything being identified now by Ecuador is
 23 Petroecuador's responsibility pursuant to the RAP.
 24 So, now let me walk you through very briefly what
 25 Mr. Ewing and I do not disagree on, which is, there were

11:21 1 non-petroleum impacts at this site, and Ecuador knowingly
 2 said, okay, TexPet, you don't have to do that. You do not
 3 have to remediate those.
 4 So, first let me show you, here is the Report. It
 5 was in 1992. This is in Page 38 of your mini-packet, and
 6 it states both that "pits were recently closed"--and this
 7 is in 1992--"pits were recently closed, seeping oil."
 8 And let me back up just one point and make sure
 9 we're clear on the record about the date of June 30, 1990.
 10 That was the last date of TexPet operations. It then
 11 turned over to Petroecuador. So Petroecuador began
 12 operating these sites in July 1 of 1990.
 13 So, when you see "1992, pits were recently
 14 closed," Petroecuador would have been operating the site
 15 for a couple of years at that point.
 16 Okay, if you go to the next one.
 17 The next one is Page 41 and 42 in your mini-books.
 18 On Page 41 and 42 of your mini-packet, HBT
 19 Agra's--that's the Report that was jointly done by the
 20 Parties--says "two oil pits recently covered." The
 21 observations in that report were from 1993. And if you
 22 look at the first page, if I might--if you don't mind me
 23 turning it over--so if you look over here, you see
 24 "recently covered," that's on Page 40, and then if you turn
 25 to the next page, the indication with the drawing around

11:23 1 the box tells you this is a closed pit and that there has
2 been impact outside the confines of the pits, and that was
3 on Page 41.
4 So, then let's go to--well, I don't have it in the
5 mini-packet--the Scope of Work is where it just says, here
6 are the sites that there could be pit remediation necessary
7 at, and that was in March of 1995.
8 Then we had the Remedial Investigation occur, and
9 that's at Page 56 of your mini-book. And this is the
10 sketch from the RI, and Mr. Ewing spoke about it. In this,
11 here is the clearing, the platform, here's the pit, and it
12 specifically says, it notes "seeps," and you see it in this
13 marshland area.
14 PRESIDENT VEEDER: Where would you put us at the
15 moment?
16 MS. WOOD: You would probably put us right here.
17 PRESIDENT VEEDER: Okay.
18 MS. WOOD: We're just on top of where the pit is
19 drawn in on Page 56 of your mini-book.
20 So, then we go to the actual RAP, which was
21 September of 1995, and that is on Page 22 of your
22 mini-book. And a couple of points.
23 First off, it identifies two pits--just two
24 pits--at the site, and it says "closed post June 30, 1990,"
25 both of those pits. And that was the key for the RAP as

11:25 1 far as whether or not that was a Petroecuador obligation.
2 And you also see and look at the plantation below. So,
3 again, this was known about.
4 Then, if you would go to Page 26 and 28 of your
5 mini-book, and in it you see--this was all part of the
6 RAP--you see they're actually showing pictures in 1995 of
7 the Petroecuador remediated pits. And the writing, the
8 initials down below, were the initials of the Parties who
9 signed the RAP. That included senior officials from the
10 Ministry of Energy for Ecuador as well as Petroproducción
11 and Petroecuador.
12 So, they knew that it was being represented that
13 these were post June 30, 1990, closure of pits. These were
14 pits that Petroecuador had closed, and they are agreeing
15 that TexPet did not have responsibility for the pit or any
16 impacts at this site.
17 And then if you go to Page 36 of your mini-book,
18 that is the Final Acta. And in the Final Acta, Ecuador
19 signed off and agreed after having known about this site
20 and known about impacts and said, "Yes, we're releasing
21 TexPet from any further responsibility for this site."
22 So regardless of whether--so Petroecuador knew,
23 Ecuador knew that there were impacts from the site. They
24 signed off and said, TexPet, you do not have any further
25 obligations at this site. Regardless of whether they knew

11:27 1 about that area that Mr. Ewing took us to, regardless of
2 whether there are two pits out here, that is all
3 Petroecuador's responsibility pursuant to the Contract
4 between the Parties.
5 So, now what I'm going to do is I'm going to turn
6 over to Mr. Connor and let him talk some about the data
7 that has been collected out here in the environmental
8 setting that we're in.
9 (Pause.)
10 MR. CONNOR: Hello again. I'm John Connor, and
11 I'm here to talk about the data at this site and what it
12 tells us about two things: One, the migration of the
13 materials; that's where is it going, and the extent of it,
14 where is it. So, first we're going to talk about the
15 extent of it and then where is it going.
16 So, and I'm also going to try to explain why we
17 have differences of opinions out here based on what our
18 observations are and address this whole issue of what are
19 the mechanisms that would lead to the oil we see in this
20 particular location.
21 Let's start out with the setting, where we are.
22 We're on a hillside underneath the platform. It's a
23 natural hillside that goes from the platform down, I would
24 say, 10, 15, 20 meters and comes down to a swampy area;
25 right? So, what's happening here is rainwater and

11:30 1 groundwater will come off of this hill, exit into this
2 low-lying bog and then move slowly towards the stream.
3 Okay. So, that's basically what we have here.
4 And the bog and every place we stand here are
5 underlaid by very plastic clay. I think Dr. Garvey pointed
6 out to you today the red hill behind us. There is only one
7 type of soil that will stand like that and that's clay.
8 And I believe Mr. Garvey and Shane also showed you
9 yesterday samples from here and how plastic it was. That
10 indicates a very high content of clay, higher than we
11 observed yesterday. Yesterday would make a ball, but this
12 you could make a bunny; right? You can mold it and make
13 anything you wanted out of it. So, those are all important
14 facts for the setting about where we are out here and what
15 we should expect in terms of migration.
16 So, I'm going to do two things. First, I'm going
17 to look at the big picture and then I'm going to look at
18 the little picture. And the big picture with regard to
19 extent is this, that we have a pit closed after 1990 up on
20 the hill. We have some surficial oil down here in this
21 bog, and we have a stream that's completely free of
22 contamination. There is no oil in that stream. So, that's
23 limited; right? And that's what I meant by the impacts
24 being in proximity in the general area of the sites. So,
25 here we have a pit up on the top. We have some problems

11:31 1 down here down the hill. But they don't extend to beyond
 2 that treeline; right? In fact, the only ones we have in
 3 this area extend about halfway to the treeline. So, that's
 4 the extent, big picture.
 5 Now, let's talk about migration. Okay. If we
 6 have that same setting and now we have observations in 1995
 7 and in 1992 that there were oil seeps in this area, they
 8 observed oil on the surface in 1992 and 1995, and they're
 9 still there. Okay. They're still there. So, that tells
 10 us that we're not getting migration. Those seeps are still
 11 where they were. They were observed at that time. And in
 12 all that time they have not moved to the stream. The
 13 stream still has no oil in it.
 14 So, that's important big-picture stuff.
 15 So, now let me get to little picture. Little
 16 picture, I'm going to go back to criteria that explain why
 17 some symbols are green and why some are red, and we talked
 18 about that yesterday. We talked about that the symbology
 19 being use by the Chevron team was linked to Decree 1215, so
 20 that for soils, if it's above the numbers given on Table 6
 21 of 1215 based on the land use of that location, then it's
 22 red. In this location, the land use that's dictated by
 23 1215 is agricultural, even if there aren't crops there,
 24 even if there aren't crops, and the reason for that is that
 25 regulations commonly anticipate changes in land use; right?

11:33 1 So, why do we call it agricultural when it's not?
 2 Because it could be agricultural. That's why regulations
 3 make those assumptions, and today we find that just in
 4 recent time this forest, this formerly wooded area, is now
 5 to be used for agricultural. Therefore, the assumption of
 6 agricultural fits that future use.
 7 And that is the most--next to a sensitive
 8 ecosystem, it's the most conservative but the strictest
 9 land use that can be applied for human use of the soil.
 10 Okay. So, that's why we use agricultural.
 11 So, let's go through the different media here.
 12 I'm going to talk about surface water. I'm going to talk
 13 about soil. I'm going to talk about groundwater. So I'm
 14 going to be kind of moving back from the stream.
 15 So, down there at the stream, I don't know if--you
 16 all were down there and could see the green flags, and you
 17 can see the set of green flags just at the end of the trail
 18 down there. There are two types--there is somebody waving.
 19 Okay. There is the horizontal triangle; that's for the
 20 sediment, and for that we've applied Decree 1215 sensitive
 21 ecosystems because that's a practice that we've seen
 22 followed by many other Operators here. It's not a declared
 23 sensitive ecosystem, but that's a number that's sometimes
 24 used by the Parties. We use the strictest number, 1,000
 25 PPM. All of the locations meet that.

11:34 1 Then there is another triangle that's shaped like
 2 this, it's pointing down; that's marked SW, for surface
 3 water. All the surface water meets that standard too, and
 4 Dr. McHugh already explained that.
 5 So, now let's move back from that location to this
 6 location here, just below us, where you see a variety of
 7 signs in the ground, both horizontal and vertical that are
 8 marked "GW."
 9 In this location, I'm going to talk about the
 10 soils first, and again, this is our effort to make these
 11 diagrams real. Okay. So that the green spots that you see
 12 on this figure from your mini-booklet are the same that we
 13 plotted down here.
 14 And there's quite a few symbols down there, but if
 15 you look at the horizontal flags and the vertical triangles
 16 you'll see what I'm looking for. There is one red flag
 17 down there. There is one red flag because of all the soil
 18 samples collected, only one exceeds the agricultural
 19 standard for soils. So the other soil flags, those
 20 horizontal triangles, are green because they're all below
 21 2500 PPM, using the Method 8015 that is approved in Decree
 22 1215 and not TEM, which is specifically instructed not to
 23 be used in 1215. So, we have one spot that warrants action
 24 under the applicable regulations used by all Parties in
 25 Ecuador.

11:35 1 Then they have groundwater flags, and those are
 2 the vertical triangles with a "GW" on it, and you will
 3 notice, as Dr. Garvey pointed out, that they're all green.
 4 And they're all green for a reason. They're all green for
 5 a reason because they are based on the TULAS regulation and
 6 they're specifically based on the groundwater quality
 7 standards--or criteria, I should say--that are set forth in
 8 Table 5 of TULAS.
 9 And I believe I can answer Dr. Garvey's question
 10 as to why these are green when they do have oil in them.
 11 They do have oil in them. Those samples down there where
 12 those wells were put in, there is petroleum in those wells,
 13 and I can explain why, but first I'm going to explain why
 14 they're green.
 15 So, in Table 5 of TULAS, it starts out by saying
 16 these are reference criteria for groundwater quality. They
 17 consider a soil with a clay content between zero and
 18 25 percent. That means that if the soil is a sandy
 19 material, a sandy material that can produce water in a
 20 usable amount, then these criteria apply, but if there is
 21 more than 25 percent clay, these groundwater reference
 22 criteria do not apply by TULAS. And so we haven't applied
 23 them. We haven't applied them because they don't apply.
 24 And that explains why the flags are green, even though
 25 there is oil in those samples.

11:37 1 So, the logic behind this--this is not unusual,
2 you'll see this in other countries' regulations and other
3 States in the U.S.--is that if water is usable, it is to be
4 protected, but if it's not usable, then resources for
5 protecting unusable waters are directed towards better
6 things for protection of the environment.

7 So, let me talk a little bit about those
8 groundwater wells and why do they have--why do we find oil
9 in them, even though they don't apply; right? So, why do
10 we have oil in those? So, I am going to go back to the
11 soil data and look at some of the cross-sections that are
12 out here. And I'm going to show you some of the boring
13 logs that were prepared by Dr. Garvey's team, and they did
14 do a good job on these boring logs. They are professional
15 people and they do a competent job.

16 This is an example of a boring log that's in your
17 mini-packet, and I want to just point some things out to
18 you on this log. What you have here is with depth, the
19 soil is described as you go down into the ground, and it
20 indicates where certain observations are made. It shows
21 how the well was built. It describes the methodology using
22 certain symbols and what's called the Unified Soil
23 Classification System, and there are PID measurements as
24 well. And then over on this side, you will see a text that
25 describes what the soil looks like, and these particular

11:38 1 descriptions use the standard colored system, and they use
2 the Unified Soil Classification System that professional
3 geologists and engineers use.

4 MS. WOOD: And--Mr. Connor, can I just
5 interrupt?--for the Tribunal, it's Pages 15 through 19 of
6 the soil borings. Some of you might have found that, but
7 just--

8 ARBITRATOR GRIGERA NAÓN: 19.

9 MR. CONNOR: Oh, there are those other ones.

10 ARBITRATOR GRIGERA NAÓN: That's 19.

11 MR. CONNOR: This is--

12 ARBITRATOR GRIGERA NAÓN: 19.

13 MR. CONNOR: AG-06.

14 ARBITRATOR GRIGERA NAÓN: That's 19.

15 MR. CONNOR: This one? So, there's more than one,
16 but there's an important point here. You'll notice in the
17 upper 30 centimeters here asphalt particles of petroleum
18 odor, collected sample AG-06 SW-00-6 from 0.02--that's like
19 right on the surface--to 0.3 meters pbgs. So, in the upper
20 30 centimeters of the soil, oil was observed, but below
21 that level oil was not observed. You can see that even
22 using the tool that Sean has been so nice to show us. At
23 the surface, there is a PID reading but down low it's zero.
24 And so the soil descriptions tell us that this material is
25 just on the surface.

11:39 1 That's important for a couple of reasons. First,
2 it tells us that as a mine well is drilled down through
3 that material, the mine well will contact with that
4 material, and it's not possible to go down through that
5 material and not drag it down, even by a professional like
6 myself or like Mr. Garvey's team, unless certain physical
7 precautions are taken, and there are protocols for how this
8 is done. A special exterior casing is first installed to
9 keep away all the contamination, and then the sleeve goes
10 down inside that cemented casing to extract that sample.
11 So there are protocols that are used that can be done.
12 Sometimes those are difficult to use out in settings like
13 this. But without using those Protocols, we can't be
14 certain that it wasn't dragged down.

15 And, in this case, we know that the contamination
16 didn't come up; it went down. Why do we know that? We
17 know it's not a spring of oil. Because if oil is coming up
18 from beneath, it would be oily down here. The farther away
19 you get from a spill, the lower the concentrations. So you
20 would have a high concentration deep and a lower
21 concentration at the surface. Here we see the reverse.
22 High at the surface, cleaner down below. It's a surface
23 release. It's a surface release. And that's important
24 because it tells us the groundwater data is compromised,
25 and it also helps us understand a mini-picture of what's

11:41 1 going on out here. So, Ernie has a couple of these logs
2 that are in your packets. You can look at them yourselves.

3 Now, there is another issue on the groundwater.
4 Why do we know the groundwater is not reliable? First we
5 said the criteria don't apply. And then we said we have
6 "drag down." And the third is there were two types of
7 samples taken from the monitoring wells. There were
8 samples just pulled out with what is like a little bucket,
9 and there was another type where a special sampler called a
10 "diffusive sampler" is put down in the water. The
11 diffusive samplers all had zero. The buckets all had
12 numbers around .3 or higher. The diffusive sampler only
13 allows dissolved materials to come in. The bucket can pick
14 up oil droplets that were dragged down. That again, tells
15 us that we have a drag-down problem. My conclusion, as
16 I've said in my Reports, is that we do not have groundwater
17 contamination here.

18 There is another piece of evidence for that, and
19 that is the natural spring that comes out from the bottom
20 of this hill, and I am going to show you two sets of
21 samples. First I will show you the sample from the stream.
22 This is what a stream looks like. It's an organic
23 stream--this is what streams often look like here. You see
24 all the vegetation in it and the black material. It's a
25 natural sediment that has a dark color. Why is it dark?

11:42 1 Because it's rich in organic material. That's why
 2 riverbeds and flood plains are great places to grow crops
 3 because when a flood happens and this material is put on
 4 the soil, you're getting a lot of nutrients; right? There
 5 is no oil smell to this. It's been analyzed extensively in
 6 the laboratory. This is free of petroleum, but it has a
 7 natural dark color, as all good rich soils do.
 8 And here's the water that flows through that. You
 9 can see this water--I'm going to set it out there so I
 10 don't get mud all over you, but that water is clean and
 11 clear; right? That's what it looks like. When our lab
 12 data tells us it's clean, it looks like this. Okay?
 13 And now I'm going to show you the spring.
 14 Do I have that material? Okay.
 15 So, the spring is where groundwater comes to the
 16 surface. And a swamp is an area where groundwater is very
 17 close to the surface. So here's the spring down below, and
 18 you will notice a little fish in there. Do you see that
 19 guy? I'll put it over here. They can check it out.
 20 PRESIDENT VEEDER: Do you see them?
 21 MR. CONNOR: Yeah. There are a lot of little fish
 22 in that stream--in that spring, so that spring is coming
 23 out here, and I believe Dr. Garvey did describe it. It's
 24 coming out and it flows through the swamp. And it's a
 25 healthy spring. It has no petroleum observable in it.

11:43 1 There is a picture of it in the main packet from--I don't
 2 want to touch it, Ernie--in the mini-packet--oh, I'm sorry,
 3 in the Site Packet presented by Ecuador.
 4 PRESIDENT VEEDER: Tab 9?
 5 MR. CONNOR: Tab 9, actually.
 6 ARBITRATOR GRIGERA NAÓN: Ecuador's, Ecuador's.
 7 MR. CONNOR: Is that right? In Ecuador's--I'm
 8 sorry. Did I say the right thing? Tab 9. Okay.
 9 So, we have a picture of it so you don't have to
 10 walk down there, but we collected these samples, and here
 11 is what the soil looks like. It's the same red soil that
 12 we see on the hill behind us. It is not organic. It
 13 hasn't received all the vegetative decay. So this is the
 14 same clay and there is no oil in this material, and that's
 15 very evident.
 16 Why do we care about that? That means we do not
 17 have subsurface flow of contaminants from up on top of the
 18 hill. We can't have subsurface flow of contaminants or
 19 they would come out in a natural place where they should
 20 come out. They should come out in the spring. So, we have
 21 seen that the oil is on top of the soil. We've seen that
 22 groundwater is not bringing oil down to the swamp. And
 23 what does that leave us with? That leaves us with the fact
 24 that it was some type of event that caused blobs of oil to
 25 come down in this area.

11:45 1 And one plausible explanation for that is that
 2 when an oil pit is closed by covering it with earth, it's
 3 very much like a man getting into a tub of water. It will
 4 overflow. Right? It can overflow. So, when you push dirt
 5 into a pit like that but don't mix it slowly and create a
 6 slurry, you can get overflowing. And this is observed, and
 7 it appears that was observed by the different Parties in
 8 '92, '93, and '95, so it's plausible that that's associated
 9 with that, and I think that is a reasonable explanation.
 10 Let's then go to other differences between the
 11 Parties. There are criteria. I talked yesterday about
 12 analytical differences--the PAH criteria that was discussed
 13 by Mr. Garvey and Mr. Ewing--and said that the PAHs--those
 14 are Polycyclic Aromatic Hydrocarbons, sort of chemicals
 15 that are of a particular concern because they can express
 16 carcinogenic effects--and we have those all plotted on one
 17 of these box plats here. And if they're above the limit,
 18 it's red, and if they're not, it's green.
 19 So, we only have one location, and that's driven
 20 by TPH, not by PAHs. The difference in the Parties is
 21 this: The difference is that we have added six compounds
 22 as instructed in Decree 1215, but the Ecuador Experts have
 23 added well over 20, 50 compounds that are not specified in
 24 1215.
 25 Why does 1215 specify six compounds? Because

11:46 1 those are six compounds that are indicators of the overall
 2 toxicity of the material. That's a common practice. So,
 3 when you do that analysis and you compare that criteria,
 4 you need a new right number. So, that's really the
 5 difference between the Parties, whether you're following
 6 the criteria or not.
 7 There was also a statement by Dr. Garvey that
 8 exhibited a misunderstanding between the Parties that I
 9 would like to clarify when he said that Chevron had never
 10 installed monitoring wells in this area. During the
 11 Judicial Inspections, 28 monitoring wells were installed.
 12 They were always installed outside of pits. Why? Because
 13 of a drag-down issue. The materials to do it right were
 14 not available. They were always outside of pits and they
 15 were always clean. They never showed impacts.
 16 Dr. Garvey's team has also done investigations of
 17 that nature. And, as I said in my Report, when those
 18 monitoring wells were installed by Dr. Garvey's team
 19 through pits or through oily areas like that, they had
 20 impacts most of the time. When they weren't drilled
 21 through those areas, they were almost always clean. There
 22 are some exceptions, but they were almost always clean.
 23 You see a real contrast that indicates they are having a
 24 drag-down problem, which is hard to avoid; it's hard to
 25 avoid.

11:47 1 So, the next thing--so, I talked about why are the
2 Parties saying different things, and I want to clarify one
3 other thing that I think is really important for you to
4 understand. There has been a misunderstanding
5 regarding--how am I doing on time?

6 MS. WOOD: You're good. You're good.

7 MR. CONNOR: Well, I'm just going to slow down.
8 (Laughter.)

9 MS. WOOD: Not too much.

10 MR. CONNOR: Okay. There is another
11 misunderstanding that--I'm just going through these in a
12 somewhat random fashion--another misunderstanding regarding
13 weathering of oil and what we mean by "liquid" and "not
14 liquid."

15 Dr. Garvey understood that it was our position
16 that if it's liquid, it's Petroecuador. That's not our
17 position. If it's fresh, it's Petroecuador, but if it's
18 weathered and liquid, it's an old spill. And we testified,
19 I believe, that old spills are really hard to figure out
20 how they happened, and I think the Parties are in total
21 agreement about that.

22 Our experience has been that if a spill is more
23 than a year old, it looks like a spill that could be 20
24 years old in this environment. Weathering is just like
25 anything. If you took some gasoline in a tank and you put

11:49 1 it out in your garden and you left it there for 20 years,
2 it wouldn't be in very good shape; right? You couldn't put
3 it into your car. Same thing with oil. You leave it in an
4 environment, all kinds of things happen to it. And we know
5 it's weathered because, once again, the light ends, the
6 saturateds and aromatics are gone. It's been demonstrated
7 by the laboratory data; right? So, there's no question
8 that it's weathered, but it can still be liquid. It can be
9 a resin with dissolved asphaltenes in it; right? So, it
10 doesn't mean it was a recent spill.

11 A recent crude-oil spill will also be liquid, but
12 when you smell it, it's like Vicks Vapor Rub. It's way in
13 the back of your sinuses. It's like smelling gasoline
14 because is has--and this is API 25 gravity--it will have a
15 volatile fraction, I think around 10 percent or more. So,
16 there's a lot of gasoline in that. So, fresh oil is really
17 different from weathered oil. And liquid oil is not
18 necessarily fresh; it can be weathered. So, I just wanted
19 to clarify that because I think we had a misunderstanding.

20 Oh, and also, the issue about clayey soils. Can
21 oil go through clayey soils? No, it can't go through
22 clayey soils. Why not? Because oil won't go where water
23 won't go; right? Water can go through pores much easier
24 than oil. And there was a test done down at these wells to
25 see if the water come into that. Dr. Garvey described it

11:50 1 accurately yesterday, where a well was drilled into the
2 ground and some water was pulled out of it and he measured
3 how fast the water comes back up; right? Or you add water
4 to it and you look how fast it goes down. Well, the water
5 that was pulled out of these wells, it didn't move at all.

6 And what that tells us is first--it tells us that
7 the permeability is really, really low for water. It's
8 really low. And so if water can't go through it, neither
9 can oil; right? And so we have a uniformed clay material
10 out here, you can't have subsurface flow, and I'm told
11 there are a number of reasons why; we know that. Okay.

12 Let's see if I covered all these issues. I think
13 so. I'm just going to check my next page here.

14 Yeah. Okay. Data interpretation, I mentioned the
15 TEM test yesterday, I don't think there is anything else to
16 say about it. When you have a dark soil like the sediment
17 here, you get a much bigger contrast with TEM and 8015.
18 The 8015 on this stuff is around 40. The TEM is over 2000;
19 right? So, that's not double. That's 50 times; right?
20 It's a big, big difference.

21 See the TEM--see all those sticks in there that
22 are on your table? So that's why. When you do an oil and
23 grease, it dissolves those things and you'll get a whopper.
24 You get a big TEM number. So, that's why. And always in a
25 dark soil like this, a dark organic soil, you get a high

11:51 1 TEM because it's measuring everything.

2 And I have talked about the PAHs. I don't think
3 there is anything else to say about that.

4 And I will stop with the mass calculation. There
5 has been a discussion as to whether or not this site
6 verifies the mass calculation. I will show you our
7 depiction of how that calculation works here. It would say
8 that this pit emanates problems radially. We know that
9 wouldn't happen. If there was a problem from the pit, it
10 would come down the hill. It would come in this direction
11 and it may have spilled over. It may have overflowed in
12 this direction.

13 But the idea with this calculation is that you
14 have radial problems out zero to 50, 50 to 100, 100 to
15 200 meters away. Now, the treeline down there is roughly
16 about 100 meters. You see the stream right there? It's
17 right at that treeline. This calculation says that the
18 contamination doesn't just go to that stream, it goes a 100
19 meters to the other side. Well, it can't do that. Even if
20 it was subsurface flow, it would come out at the stream,
21 which it hasn't done. And, if it was overflow, it would be
22 in the sediments, which it's not there. So, we know that's
23 not true. We know it's not true.

24 So, I think we need to be careful. Again, we had
25 another site where we can't--we find that the mass

11:53 1 calculation is just not real.
 2 And I think Dr. Garvey made a good point when he
 3 says, "on average," or we think about the average, on
 4 average it works. Sometimes it will; sometimes it won't.
 5 That means half the time it should work, but I don't know
 6 of any site where it works, so it means there's something
 7 really wrong. And I tried to explain a number of times in
 8 my Reports and in my testimony that the calculation is
 9 erroneous and has no value in terms of understanding.
 10 PRESIDENT VEEDER: For the Transcript, that is
 11 Page 12 of the mini-bundle.
 12 MS. WOOD: Thank you, Mr. Connor.
 13 MR. CONNOR: That's it.
 14 MS. WOOD: Before he exits stage right, any
 15 questions from the Tribunal?
 16 ARBITRATOR GRIGERA NAÓN: No.
 17 ARBITRATOR LOWE: No.
 18 PRESIDENT VEEDER: No questions from the Tribunal.
 19 MS. WOOD: Thank you.
 20 I'm going to now ask Dr. McHugh to speak.
 21 Do you want to begin?
 22 DR. MCHUGH: You remember from yesterday, I'm Tom
 23 McHugh, toxicologist, addressing health issues. I'm going
 24 to try and touch on the same three points that I covered
 25 yesterday, that the residents in the area have a source of

11:55 1 clean water, the conditions here are safe for human health
 2 and they're safe for livestock.
 3 So, the residence--the nearest residence that has
 4 been identified to this site is 300-meters away. It's over
 5 a little hill to the south of us.
 6 In Dr. Strauss's Report, she reported that the
 7 residents use a rainwater catchment system that is
 8 supplemented by municipal water when needed, and she also
 9 reported that they had a hand-dug well, but that was not
 10 tested by LBG. But the available evidence indicates that
 11 they have a safe source of drinking water, or in this case,
 12 three safe sources of drinking water.
 13 Yesterday, Mr. Ewing suggested that using
 14 rainwater as a domestic water resource was evidence that
 15 the groundwater was contaminated and that they were
 16 avoiding using the groundwater. However, during the
 17 Judicial Inspection process, the Chevron Judicial
 18 Inspection team members sampled over 250 hand-dug wells,
 19 and found that they were free of petroleum. LBG during
 20 their testing program tested three hand-dug wells and they
 21 found that all three wells met Ecuadorian standards, USEPA
 22 drinking water standards, and World Health Organization
 23 standards. There is the same dispute about whether it
 24 contains a small amount of petroleum because of the issue
 25 with plant matter being detected, but the story is the same

11:56 1 that they tested using three methods for petroleum, two of
 2 them were non-detect, and one of them had low levels of
 3 detection, that even if accepted as petroleum, was below
 4 the Ecuadorian standard.
 5 So, all of the available evidence suggests that
 6 groundwater utilized through hand-dug wells within the
 7 Concession Area is safe to drink.
 8 So, moving on to the health conditions, I've
 9 already talked about the stream, it's free of petroleum and
 10 safe for use. Mr. Connor covered the groundwater and
 11 explained why the groundwater was--that the water was
 12 measured here was simply not a usable resource. Both
 13 Parties have described that area as swampy, and regardless
 14 of the clay content of the soil, that sort of swampy area
 15 is simply not suitable for installing a hand-dug well.
 16 (Pause.)
 17 DR. MCHUGH: So, this swampy area is not an area
 18 where anyone would install a hand-dug well. You have seen
 19 the material from the spring, although LBG elected not to
 20 test the spring, the visual inspection indicates that it's
 21 clean, and would be a suitable resource to be used by
 22 anyone building a residence in this area.
 23 Moving on to the soil, the story here is again
 24 very similar to what we heard yesterday, that Dr. Strauss
 25 estimated risk using six different calculation methods.

11:59 1 All of her calculation methods included this assumption of
 2 daily exposure with the soils in that area, not just
 3 walking through the area, but daily contact with the soils
 4 there every day for 30 years, and even with that intensive
 5 exposure, the calculation that she conducted in accordance
 6 within an established regulatory framework indicated that
 7 that was not a health risk. It's only when she deviated
 8 from that established procedure that she found a health
 9 risk.
 10 Finally, closing with livestock, the stream is
 11 clearly safe for livestock because it does not have
 12 petroleum. The soils, when you use the 8015 results, the
 13 results that were--that go with the API screening value
 14 that have been used to evaluate risk to livestock, when you
 15 look at the 8015 results, there are no results that exceed
 16 livestock screening criteria, and so the conditions
 17 documented by LBG and the Government of Ecuador are not a
 18 risk to livestock.
 19 And, again, it was suggested that plants,
 20 agricultural crops growing within the area of petroleum
 21 contamination, that that could be a risk, but I will repeat
 22 again that the weathered petroleum material is simply not
 23 taken up by plants. The water-soluble components are the
 24 only thing that could go up into the roots and into the
 25 plants and that the weathered materials stay in the ground

12:01 1 and not go from the plants. Even to the extent that plants
2 were to take up any of these lighter, more volatile
3 constituents, the available scientific studies show that
4 they exit through the leaves and that they do not build up
5 in the fruits or the seeds. So, that covers the health
6 issues.

7 MS. WOOD: Thank you.

8 PRESIDENT VEEDER: Thank you.

9 MS. WOOD: Any questions from the Tribunal for
10 Dr. McHugh?

11 PRESIDENT VEEDER: No thank you.

12 MS. WOOD: Just to--a few final points before we
13 are finished--three points, actually.

14 One, I believe it was Dr. Garvey who made
15 reference to produced water and implied that produced water
16 generated at the site could have flown down to the stream.
17 How these sites work was the produced water was piped to
18 the Production Stations. I don't know if you saw the large
19 flare, the fire in the air as we drove up here. That is
20 Petroecuador or one of its Contractors' Production
21 Stations. That is where any produced water would have been
22 piped over, to that Production Station, so there would have
23 been no pits for use of produced water at this site. That
24 Production Station came on line approximately at the same
25 time as this well in the Seventies.

12:02 1 Second, I have talked with you and I have shown
2 you documents that the pits, the documented pits here, were
3 closed by Petroecuador. There's a document that you might
4 recall that came into evidence at the Hearing that was not
5 included in Respondent's Site Packet. But, to the extent
6 that they want to talk with you about that in their
7 rebuttal, I just want to make sure you know that that does
8 not prove that Petroecuador did not close these pits.

9 PRESIDENT VEEDER: Say that again. There is a
10 couple of negatives.

11 MS. WOOD: Yes. Okay.

12 PRESIDENT VEEDER: Three.

13 MS. WOOD: That document which is--there were
14 three GSI preliminary documents, they might try to use that
15 to say that Petroecuador didn't close the pits here. We
16 disagree with that, and I've included in your Site Packet
17 at Pages 13 and 14 a comparison, so one of the pits where,
18 even to the naked eye, you can see that the pit is still
19 there in July of 1990.

20 Second--excuse me, third, was the Judgment. They
21 have brought us to the four sites that Ecuador believes
22 best represents their most favorable story that these sites
23 support the Judgment. I think we showed you
24 Shushufindi-34, we're showing you now and we will show in
25 the next two sites that they do not justify the Judgment.

12:04 1 In fact, you've heard time and time again that they're
2 ignoring reality in order to try to justify the Judgment.
3 And a few points on that.

4 One is the criteria, the standard that is being
5 used. The standard that we are applying are the standards
6 that Ecuador applies to Petroecuador. They are the
7 standards of Ecuador. Instead, you heard Dr. Garvey talk
8 about lower standards, additional standards, 100 PPM from
9 the Judgment. That alone shows you that the Judgment was
10 not based in reality, was based on fraud because the 100 is
11 not the standard that is applied to Petroecuador and is
12 applied in Ecuador.

13 Second, you heard them talk about methods, such as
14 the TEM method, which is not allowed by Decree 1215 and has
15 a known bias of high effects from plant matter. Look
16 around you. All you see is plant matter. Obviously that's
17 going to have effect on any type of TEM results. TEM does
18 not equal TPH.

19 They're claiming contamination by pointing to
20 chemicals that are not regulated by Ecuador, and you heard
21 Mr. Connor talk about that. But two key points again are
22 that they are ignoring the actual facts of Petroecuador's
23 activities at this site in closing of the two pits as well
24 as expansion in the area. And Mr. Ewing said yesterday
25 they weren't sure why we were pointing to the 1-to-2

12:05 1 kilometer map. It's not that we're saying that activities
2 from 1 or 2 kilometers away would have impacted this site.
3 We showing you that Petroecuador and its Contractors are
4 very active throughout this entire area, active in terms of
5 production, in expansion, and active in terms of
6 remediation of historical Concession impacts, which shows
7 that they are recognizing and abiding by the Agreement
8 between the Parties.

9 And, finally, with respect to anything that has
10 been shown to you here today in terms of impacts, those
11 impacts were known by Ecuador, and Ecuador said TexPet, you
12 do not have responsibility for that. They're ignoring the
13 Contract between the Parties in order to claim that the
14 Judgment is valid and that TexPet has responsibility out
15 here.

16 And, with that, I will conclude my remarks, unless
17 the Tribunal had any questions.

18 PRESIDENT VEEDER: We have no questions. Thank
19 you very much.

20 MS. WOOD: Thank you.

21 PRESIDENT VEEDER: That concludes the Parties'
22 presentations. We've come to an end.

23 MR. EWING: We have our rebuttal.

24 (Pause.)

25 REBUTTAL ARGUMENT BY COUNSEL FOR RESPONDENT

12:19 1 MR. EWING: Members of the Tribunal, I want to
 2 start with sort of an overarching point that has raised a
 3 bit of indignation on our side. There is zero evidence
 4 that we or anyone for us on behalf of the Republic has done
 5 anything to falsify or create any of this evidence. There
 6 is some earlier intimations. They were unclear about the
 7 source. This source is historically documented. We didn't
 8 put this here. There is zero, zero evidence. I just want
 9 to start from there to clear that this has nothing to do
 10 with anything that the Republic has done.
 11 The second point I want to talk about, and we're
 12 going to be discussing regulations a bit more as we go on
 13 through these sites, it's become clearly an important part
 14 for Claimants. But if you think back to the Claimants'
 15 original pleadings, they were willing to apply a 10,000
 16 parts per million standard or a 5,000 parts per million
 17 standard. There was no discussion of the adequacy of
 18 Ecuadorian standards. Now, they're willing to apply an
 19 Ecuadorian regulatory standard. So their position even has
 20 changed.
 21 But this is not about what the Ecuadorian
 22 regulatory standard is. This is not a regulatory case.
 23 This is not the Government of Ecuador attempting to apply
 24 its regulations to clean up of this area. This is a case
 25 based on the Lago Agrio Plaintiffs' complaint, which

12:20 1 requested that all contamination be removed from these
 2 areas, all contamination be removed from the people's
 3 private land, and the Judgment has based its decision on an
 4 understanding of what background level contamination is.
 5 Mr. Connor said in another case, in Burlington,
 6 that TPH should be zero. They calculated TPH in this case
 7 as 12 in natural backgrounds; the Judgment selected 100.
 8 As Dr. Garvey said, that's five to ten times above what
 9 should naturally occur, which is somewhere between zero and
 10 12. So the Judgment--and the Judgment also said, they, the
 11 Judgment will not apply current standards retroactively and
 12 instead apply the law that was in place at the time, which
 13 said you shall not contaminate the wetlands, the streams,
 14 the water sources and, therefore, applied a standard that
 15 was appropriate for the time period when these operations
 16 were occurring, not current regulations in 2015 or even in
 17 2011 when the Judgment came out.
 18 And the interesting thing about this or another
 19 aspect of this that's interesting is Claimants have never
 20 attempted to refute that the Court was incorrect in not
 21 retroactively applying current standards. So Claimants
 22 have never argued that the Court was incorrect in its
 23 finding, that you don't retroactively apply the law. This
 24 is now they're trying to impose on the Court's Decision the
 25 current regulatory standards, and that's just not the

12:22 1 way--what the Court found what the Judgment did, that does
 2 not make this a denial of justice.
 3 Third point, Petroecuador did not remediate the
 4 pits above us. There is no evidence that Petroecuador
 5 remediated these pits. I think that was stated a few
 6 times. Ms. Wood referred to the document which is R-1546,
 7 which is a GSI internal assessment of this site. And,
 8 according to GSI, it says the pit appears to have been
 9 closed--let me take a step back. They analyzed these two
 10 pits, and both of these pits were listed as posters that
 11 Mr. Bianchi--sorry, Gino is holding--not Gino,
 12 sorry--anyway, the pit--the person you see who is holding
 13 here said that they are closed, "No Further Action,"
 14 because they are closed post 1990. But what we know from
 15 Chevron's own internal documents is that they also don't
 16 agree with that. This is not our statement.
 17 Looking at the first pit, they said the pit
 18 appears to have been closed between 1996 and 1990, so
 19 earlier than was disclosed in the RAP.
 20 Talking about the second pit. This is the area.
 21 It was apparently marshy and encompassed at least 1500
 22 square meters and it became revegetated by 1986, meaning it
 23 was also closed by 1986, if not before.
 24 MR. BLOOM: Do you have an exhibit number?
 25 MR. EWING: Yes, and that's R-1546.

12:23 1 And these are the same pits that, during the
 2 Remedial Investigation in 1995, they found that oil was
 3 seeping out of those pits, the same pits that we believe
 4 are the source for the contamination we see below you.
 5 So, maybe Mr. Connor is right, that this
 6 contamination came overland. We don't see any evidence of
 7 that. You would expect to see asphaltic material in the
 8 woods, if there was such a large overland spill. We don't
 9 see any evidence of that. But at the end of the day,
 10 TexPet put the oil in there and this is TexPet's oil down
 11 here. Whether they pushed it down here or it flowed
 12 underground, it's still TexPet oil.
 13 Fourth point, when we were standing at the stream,
 14 Ms. Wood said that data is important. Data is key, I think
 15 is what she said. And we agree that data is important.
 16 There is no question. We've spent thousands and thousands,
 17 if not more, dollars to put together the data and really
 18 understand aspects of these sites, but it is not the only
 19 thing that's important. Visual inspection is more than
 20 adequate to assess the contamination that we see,
 21 contamination that we saw down there. Even without
 22 samples, visual inspection is more than adequate. Dr.
 23 Hinchee said so at the Hearing. It was the standard in the
 24 RAP. They looked to see whether contamination existed.
 25 ASTM guidance, Dr. Strauss in her Reports tells you that

12:25 1 ASTM guidance says you clean up what you can see first and
 2 then you go and sample and figure out what the risks are.
 3 But first you deal with what you can see.
 4 And, even today, Dr. McHugh put before you the
 5 tray of spring water and told you, look at it. It looks
 6 clean. He said by his own statement that visual analysis
 7 is adequate to define that as clean. So, visual inspection
 8 that you have been able to perform and other people have
 9 been able to perform here is more than adequate to assess
 10 the contamination.
 11 And, with that, I would like to turn the floor to
 12 Dr. Garvey to briefly respond as well.
 13 DR. GARVEY: There are a number of points I'd like
 14 to make.
 15 ARBITRATOR GRIGERA NAÓN: Just one second, please.
 16 (Tribunal conferring.)
 17 PRESIDENT VEEDER: Please.
 18 DR. GARVEY: Very good. I would like to talk a
 19 little bit more about the evidence that you see here in
 20 front of you in terms of the seeps and the impacts
 21 downstream, the potential impacts to the stream below us,
 22 and then about the inventory issue again.
 23 To begin with, with the oil seeps here, we've
 24 argued at the previous site and we argue here again that
 25 the finding of liquid oil here at the surface implies that

12:27 1 impermeable. It's sufficiently permeable to deliver water
 2 here. If it can deliver water here, it can deliver oil
 3 here. Okay.
 4 With regard to our groundwater wells and
 5 installation, our groundwater wells were developed
 6 properly. They were purged at the time of installation,
 7 and then the samples were collected from them two weeks
 8 later, allowing the water in the well to come to
 9 equilibrium with the soils around it, thereby minimizing,
 10 if you would, any kind of draw-down impacts. And, in fact,
 11 we have wells at other sites that show contamination where
 12 the overlying soil was clean, and we still get
 13 contaminated--groundwater depth of--all of these wells here
 14 had contamination at the surface when we measured it.
 15 So--make another point on this. Okay. And,
 16 again, Greg Ewing made the same point, as if this well had
 17 spilled down the hill, why is there no evidence of it in
 18 the hillside here, why do we not see asphalt-like material?
 19 Okay.
 20 With respect to our diffusive samples--now we're
 21 getting into the leads, and I apologize a little bit--but
 22 they are the measure of the very lightest of components,
 23 coming back with the clean gasoline--they measure basically
 24 gasoline range type of stuff in the wells. They came back
 25 clean, that's true, but we have not argued that this oil is

12:26 1 there is an underlying reservoir of material that's
 2 contaminated. I'm going to show you some information that
 3 suggests as much based on one of our cross-sections.
 4 However, I would also note that the Plaintiffs' Expert
 5 Dr.--Mr. Connor has asserted that now this oil, since it's
 6 not supplied by a deep reservoir, has been sitting at the
 7 surface, effectively, for better than 20 years and yet
 8 still remains liquid. Previously in their arguments,
 9 they've argued that things have become asphalt or
 10 asphalt-like, the implication being it's been solid.
 11 So, you can't have it both ways. If this material
 12 is still sitting liquid at the surface 20 years after it
 13 cascaded down the hill, clearly oil not solidifying remains
 14 available to the environment. On the other hand, if it's
 15 what we think, which is that this oil is being supplied by
 16 a reservoir, then it's a much larger problem, so to speak,
 17 that's underneath the ground, and, in fact, I'll show you
 18 some evidence for that.
 19 In this same regard, yes, this was a very tight
 20 soil, these clayey soils are relatively impermeable, but we
 21 know that it's not completely impermeable because we have a
 22 spring here. Okay. There's water coming through the
 23 ground feeding this point right here. There's water coming
 24 out. And, in fact, there are seeps all along here that
 25 feed this wetland. So clearly not all of the ground is

12:29 1 sufficiently fresh to supply gasoline-like components. It
 2 has some weathering. It remains liquid. So, the finding
 3 that the diffusive samples came back clean is not proof
 4 that this groundwater is, in fact, clean. Okay.
 5 I think Greg covered the health risk assessment
 6 issues. Okay. So I won't repeat them again. Okay.
 7 One last point about--and this is in the record as
 8 well. The residents in the area had to give up groundwater
 9 as a resource because of the risks of contamination, and
 10 the farmer--and this is in the record--the farmer that
 11 lives here, lived here all his life, has complained that
 12 livestock in this area get sick as a result of--he
 13 attributes it to feeding in this area. So there's, again
 14 evidence to suggest exposure to this material are an
 15 ongoing risk to people and their animals.
 16 With respect to the inventory question--I know
 17 this is getting dense, and I apologize--an average is an
 18 average. It's not right half of the time, and if we
 19 average all the people here, we will get the average height
 20 of everybody that's here. It isn't right half of the time
 21 and half of the time it's wrong. Average is not a median.
 22 It's not an on/off type of thing. It's simply the
 23 integration of the data that you have in front of you. So,
 24 to say that an average is right half the time and wrong
 25 half the time is really a mischaracterization of the

12:30 1 information.
 2 First of all, that's not how it works. We're not
 3 talking about a median. We're not talking about a yes-no
 4 answer. It's not a median. It's just the information that
 5 you have: You add it together, you divide it by the number
 6 of samples that you have, that's the average.
 7 If you remember that diagram that they drew up,
 8 one of the reasons we were able to do the inventory and we
 9 felt comfortable calculating the inventory with the data
 10 that Chevron had collected, is that--do Plaintiffs have
 11 that map with the concentric rings available? I don't know
 12 the reference number to it.
 13 PRESIDENT VEEDER: Number 12.
 14 DR. GARVEY: This is the exhibit I'm referring to.
 15 When Chevron sampled around the various pits and
 16 the like in the various sites, they placed pit samples not
 17 on one side but in kind of an area in an attempt to outline
 18 or if, you would, bound the problem. The problem wasn't
 19 every time they would do this, they would find a high value
 20 on one side, then they'd find a high value on the other and
 21 they'd find a whole bunch of cold ones in between. That's
 22 why we could use this information and say, well, what's the
 23 average concentration in each of these concentric rings?
 24 It doesn't mean that every point that they placed in these
 25 various rings came out cold nor did every part come out

12:31 1 hot. Most of them, in fact, came out cold, but there were
 2 a sufficient number of hot ones to calculate and estimate
 3 the inventory that we're talking about.
 4 This is a case in point. Here we have, if you
 5 would, hot point, a very large one but yet a hot point.
 6 But I'm quite certain that if we were to sample in a
 7 concentric circle around the rest of the pits to the side
 8 here, we would come up with relatively cold points because
 9 the chances are these hillsides are not contaminated
 10 because the feature that's driving this area of
 11 contamination may or may not be functioning to the sides.
 12 So this is, again, an integration process. It's creating
 13 an average based on data that Chevron collected to try to
 14 integrate--to try to find a clean boundary. In their
 15 design of their clean boundary sampling, they created a
 16 dataset that says we can characterize, in general, the
 17 level of contamination in each of these rings. Okay.
 18 I think that's all.
 19 MR. EWING: I have about two minutes of conclusion
 20 and then we will get out of here.
 21 DR. GARVEY: One more. I'm sorry, my bad.
 22 One last point, I apologize for forgetting this.
 23 The stream points that we've looked at, they are
 24 relatively clean, the entirety of them. We don't dispute
 25 that at all. We do get some higher levels by TEM, but in

12:33 1 general we would agree that this stream is not impacted by
 2 this area here, by the flow coming uphill. Why not?
 3 There's a topographic high between us and the stream. You
 4 noticed it perhaps when you were down by the blue point
 5 down there that we were in a low point; we were in a swamp.
 6 The area that comes down--the water that comes down off of
 7 this hill here enters this swale and then drains to the
 8 north before it joins the stream. What we did,
 9 unfortunately, because we were working in that very thick
 10 woods that you saw there, we didn't have a sufficient
 11 topography to understand how the water flowed off of this
 12 hill, we basically took a lot of upstream samples.
 13 So, they came back clean, which is good, which
 14 means that this general area is clean, but we actually have
 15 no data that we would really characterize the impacts of
 16 this area to the stream down--to the area downstream with
 17 the exception of one point, the very last point in the
 18 sequence.
 19 What we've talked about, and what we will talk
 20 about again this afternoon, the problem with using a single
 21 point to try to bound or characterize an area--okay?--it's
 22 difficult to do. It's very haphazard. Even with all of
 23 the samples that are in here, there are still some samples
 24 in here that are very, very low in contamination. So when
 25 you go out and sample, sometimes you get the high values,

12:34 1 sometimes you get the low values. That's why you throw a
 2 few darts.
 3 At this point, with respect to the stream, we have
 4 one dart. And, in fact, it's in an area of the stream that
 5 we don't think is collecting sediments. We think it's an
 6 area where the stream is eroding its bed; therefore, it
 7 would not retain any contamination that might come off of
 8 the site, and that's my last point.
 9 MR. EWING: Before Dr. Garvey goes, are there any
 10 questions?
 11 PRESIDENT VEEDER: No, thank you.
 12 MR. EWING: Then let me now do my approximately
 13 two minutes to wrap up.
 14 Claimants have now largely conceded the factual
 15 case underlying the Lago Agrio Litigation. Remember, we
 16 are here because, in Track 2, Claimants have said that the
 17 Lago Agrio Litigation, that the factual basis for the Lago
 18 Agrio Litigation is factually absurd. Claimants have
 19 conceded that contamination exists. They've conceded that
 20 this oil was placed here by TexPet, and they've conceded
 21 that this oil and this contamination comes into contact
 22 with people, and they've conceded that the evidence of this
 23 is in the Lago Agrio Record.
 24 So, Claimants have now--we now have contamination
 25 attributable to TexPet, we have an exposure to people, and

12:35 1 that is what the Lago Agrio Litigation was based on, and
 2 that is why we wanted to bring you here to see this.
 3 Claimants have made a number of assertions that
 4 this site has shown us to not be true. One is that clay
 5 contains the pits. We have contamination down here without
 6 evidence of contamination on the surface. That
 7 contamination has gotten here somehow. If it's not on the
 8 surface, it must be coming underground.
 9 Claimants have said that there is no movement of
 10 contamination; we have, again, coming from the pits down to
 11 here. Claimants have claimed that there is no impact on
 12 groundwater. We know that these groundwater samples are
 13 impacted.
 14 So, that is exactly why we wanted to bring you
 15 here.
 16 So, with that, I will wrap up--I will turn the
 17 floor back over to Dr. Garvey.
 18 DR. GARVEY: I want to show you one last exhibit,
 19 sorry. This is Respondent's Plate Number--Christine, Plate
 20 20. No--
 21 MR. EWING: Tab 20, Page 2, I think.
 22 PRESIDENT VEEDER: Please continue.
 23 MR. EWING: 19, Page 2.
 24 DR. GARVEY: Thank you.
 25 This is a cross-section through the area that you

12:39 1 the boring information that we have, the visual information
 2 that we have from those borings, indicates that there are
 3 significantly thick sections of contamination within the
 4 ground there, it's not all limited to the surface
 5 commensurate with an overland-type transport.
 6 One last point to make about the human health-risk
 7 assessment issues, and that is that the growing of corn in
 8 this field with all of this oil present at the surface
 9 means that these materials can be taken up into the corn
 10 and then people can ingest that corn, and there's another
 11 root of exposure for that. So this represents a very vivid
 12 and ongoing exposure to the locals that live here.
 13 I think that's everything.
 14 MR. EWING: If you would like to see the rest of
 15 LBG's boring logs, they're in the record in their Site
 16 Investigation Reports. I think Claimants have just
 17 selected a few. The rest are in Site Investigate Reports.
 18 So, unless there are any questions from the
 19 Tribunal, I will end our affirmative presentation and just
 20 talk logistics very quickly.
 21 PRESIDENT VEEDER: Please talk logistics.
 22 MR. EWING: So we are going to leave from here, go
 23 up to the cars and grab our lunches and, to try and make
 24 things a little quicker, we are going to eat lunch in the
 25 car. Hopefully that may even actually be a bit more

12:37 1 see below you here. These are just several of the points
 2 that you see marked out here. Basically they form a
 3 straight line, more or less straight down the hill, not in
 4 the direction of groundwater flow. So, this is not an
 5 image of how groundwater is moving through the system but
 6 rather just a record of how these wells were installed and
 7 where we observed the visual contamination.
 8 In particular what I'd call out to you is these
 9 areas shaded in brown here. There's three of them. Two of
 10 them have--one has contamination visible in the shallow
 11 segment of the core. It was not noted here at depth. The
 12 groundwater level here is about 600 parts per billion. But
 13 in the other two wells on this side of the diagram, we note
 14 that the interval of visual contamination that was
 15 identified by the geologists is actually quite deep,
 16 several meters in this instance here, about a half a meter
 17 here, but more than a meter below the surface. So, this is
 18 not surface contamination that we are seeing here. We
 19 would not expect to see this depth of contamination in this
 20 particular well as a result of overland run-off. This is a
 21 result of underground-type contamination. And this is not
 22 the only well where we saw this. There was another one in
 23 this area here as well, another boring; we saw this as
 24 well.
 25 I just wanted to bring this to your attention that

12:40 1 comfortable because it will be air conditioned. And we are
 2 now going to Shushufindi-55. So, if we can relatively
 3 quickly go, I think it will make everyone happy to get back
 4 sooner today.
 5 Thank you. And please do be careful.
 6 (Whereupon, at 12:40 p.m., the Aguarico-06 Site
 7 Visit was concluded.)
 8
 9
 10
 11
 12
 13
 14
 15
 16
 17
 18
 19
 20
 21
 22
 23
 24
 25

CERTIFICATE OF REPORTER

I, David A. Kasdan, RDR-CRR, Court Reporter, do hereby certify that the foregoing proceedings were stenographically recorded by me and thereafter reduced to typewritten form by computer-assisted transcription under my direction and supervision; and that the foregoing transcript is a true and accurate record of the proceedings.

I further certify that I am neither counsel for, related to, nor employed by any of the parties to this action in this proceeding, nor financially or otherwise interested in the outcome of this litigation.


DAVID A. KASDAN